

ALBUQUERQUE BERNALILLO COUNTY
WATER AUTHORITY BOARD
VINCENT E. GRIEGO CHAMBERS
ONE CIVIC PLAZA
ALBUQUERQUE, NEW MEXICO 87102

Wednesday, June 22, 2016

5:00 PM

Present:

Councilor Trudy E. Jones, Chair

Commissioner Art De la Cruz, Vice Chair

Councilor Pat Davis

Commissioner Debbie O'Malley

Commissioner Pablo Rael

Commissioner Robert Perry

Commissioner Klarissa Pena

1 MADAME CHAIR: Let's start with a moment of
2 silence, then the pledge of allegiance led by
3 Commissioner O'Malley, please.

4 [Moment of silence and pledge of allegiance
5 observed.]

6 Thank you all for being here this evening.
7 I would like to make a motion to approve the
8 May 18th, 2016 minutes.

9 COMMISSIONER RAEL: Second.

10 MADAME CHAIR: There is a motion and a
11 second. All those in favor say yes.

12 ALL COMMISSIONERS: Yes.

13 MADAME CHAIR: Opposed? Motion carries.

14 There are no proclamations and awards, so I
15 will make an announcement, and that is that the --
16 due to Councilor Sanchez's absence, item R-16-9 will
17 be deferred to the August 17th, 2016 meeting. Also,
18 item 10-A will be heard on the next agenda -- as the
19 next agenda item. I'm sorry, not reading everything
20 they write for me. So we will simply move -- defer
21 Councilor Sanchez's item.

22 Let's do public comment. Ms. Jenkins, how
23 many do we have signed up?

24 MS. JENKINS: We have three.

25 MADAME CHAIR: All right. Each speaker

1 will have three minutes with a warning at two and a
2 half minutes.

3 MS. JENKINS: Kathy Minsky followed by
4 Geraldine Amato.

5 MR. MINSKY: What I want to talk today
6 about, well, when I came to New Mexico, we used to
7 say every -- this town everybody knows each other.
8 I am today want to talk about some of local
9 politicians, and now here, especially -- well, one,
10 Ken Sanchez, city -- city councilors, last Sunday,
11 according to my understanding, he went on TV
12 bragging that he is doing business with Water
13 Utility Authority.

14 I believe that that's a little bit too far.
15 Where is some ethic? Where is ethic? Oh, well,
16 he -- he probably has many relatives, family,
17 relative and friends in this town that is old
18 fashioned business. Well, it needs to be stopped.

19 Thank you.

20 MS. JENKINS: Geraldine Amato followed by
21 Elaine Hebbard.

22 MS. AMATO: Good evening. Again I'd like
23 to emphasize that the pledge to the federal flag is
24 a fraud, and we do not have any control on the
25 policies regarding water in this area, in this local

1 area, because of who controls all the resources of
2 this nation. Water, the most vital resource that
3 the human being requires for life is being
4 squandered, toxified, polluted and otherwise a
5 valuable vital resource going to waste and no one is
6 held accountable at the local level for any of these
7 misdeeds.

8 If we are to revive a way of controlling
9 our own resources we must resist the agenda of those
10 who now control this nation. We are under a private
11 commercial jurisdiction. Water is just another
12 commodity. It is not regarded as a vital resource
13 for human life. It's -- it's -- it is regarded as a
14 commodity to be bought and sold the cheapest way it
15 can go. They even talk about exporting water to
16 other nations as a profit-making business.

17 I'd like to take just a moment regarding a
18 subject that I've tried to bring up here since it
19 was represented as of each of the counsel and
20 commission here. I've asked about making this
21 restroom accessible to those with physical
22 disabilities. Nothing has been done with these
23 double heavy doors to make it accessible to anyone
24 with a physical limitation. Nothing, absolutely
25 nothing, and I've asked this question at this

1 microphone on more than one occasion.

2 I have been harassed and hindered since I
3 have arrived back in town since February, why I as
4 an elder, a woman with a physical disability with no
5 discretionary resources being under the restraint of
6 Social Security income is considered a threat to the
7 establishment. The establishment here is wealthy
8 and powerful. Why is my voice considered such a
9 threat that I have to be harassed and hindered in
10 where I may be or go? I've been run out of two
11 places of habitations of being here since February,
12 and I am still a rather displaced person.

13 I came back here to resume my work that I
14 began when I was doing a television program on
15 public access. My family is a victim of organized
16 crime in the legal judicial network with no remedy
17 or recourse. The damage done to my family continues
18 to this very hour, and many people's lives are being
19 destroyed at this local level here.

20 MADAME CHAIR: Thank you, Ms. Amato. Your
21 time is up.

22 The next speaker, please.

23 MS. JENKINS: Elaine Hebbard.

24 MADAME CHAIR: Thank you.

25 MS. AMATO: What about the accessible --

1 MADAME CHAIR: Thank you, Ms. Amato.

2 MS. AMATO: Yeah, thank you.

3 MADAME CHAIR: Thank you, Ms. Amato, your
4 time is up.

5 MS. AMATO: You're welcome too, Ms. Trudy
6 Jones.

7 MADAME CHAIR: Your time is up.

8 MS. AMATO: You're a rude person.

9 MADAME CHAIR: Thank you, Ms. Amato.

10 MS. AMATO: Yeah, you're welcome. Thank
11 you too.

12 MADAME CHAIR: Thank you for coming up.

13 MS. AMATO: Your phony stuff. Yeah, your
14 time is up.

15 MADAME CHAIR: Good evening, Ms. Hebbard.

16 MS. HEBBARD: Good evening. I would like
17 to turn this on, please. Thank you.

18 Good afternoon. My name is Elaine Hebbard.
19 Given that it's June, I thought there might be a
20 presentation on the third quarter financial report,
21 and given that it's been so dry, we've had 1.31
22 inches rather than a normal 2.91, which to anybody
23 living outside of this area sounds like a little
24 bit, but it's a really little bit. I thought we
25 might have a water use update and a prognosis of

1 what El Nino, La Nina might be in play.

2 And such information, I think, helps to
3 fulfill policy with the water resource management
4 strategy, which is to encourage and facilitate
5 public involvement and support. For those many
6 reasons, I look forward also to the computerized
7 version of the water budget model, which will allow
8 us to individually play with various management
9 decisions and understand them in terms of water
10 resources.

11 I continue to request the board to discuss
12 and determine the guiding vision for the new water
13 resource management strategy. I have suggested in
14 the past striving for resiliency might be a good
15 one. And to secondly hold a hearing on the pros and
16 cons of changing the groundwater reserve management
17 policy, and if so, by what criteria envisioned, such
18 as that resiliency one. Part of deciding what needs
19 to be changed to enable it to be implemented.

20 I would also argue that the ABCWA is much
21 more than just in the business of providing water,
22 and that it can be seen -- that can be also seen in
23 those policies known as the worms. Considering
24 those, I would like to focus today, again, on the
25 need to plan outside of silos. Perhaps because

1 various agencies and entities have different
2 missions, there's little formal integration of land
3 use transportation, economic development, and other
4 planning efforts with water resources management,
5 and yet that is policy L.

6 And so what I've done here is I have
7 drafted a draft resolution to request, as policy L
8 does, that each of you take it back to Los Ranchos,
9 the county and the city to request that water supply
10 availability and cumulative impacts be taken into
11 account when making land use development decisions
12 and that member governments adopt policies
13 integrating a land use transportation economic
14 development and other planning efforts with water
15 resource management.

16 I've also noted that the water utility is
17 now a member of net blue, an initiative aimed at
18 water neutral growth, so working on these policies
19 together with the land use planning entities makes a
20 lot of sense. So I proffer this draft with all of
21 that in mind.

22 Thank you. Any questions?

23 MADAME CHAIR: Thank you.

24 The next scheduled meeting will be
25 August 17th, 2016 at 5:00 PM in the Vincent E.

1 Griego Chambers. And now we will be having a status
2 update for the Kirtland Air Force Base bulk fuel
3 facility fuel leak clean up.

4 Welcome everyone. Is someone going to come
5 speak? Would you please introduce yourself when you
6 come up to speak to us?

7 MS. ROBERTS: Absolutely. Madame Chair,
8 Members of the Board, thank you for having us. My
9 name is Kathryn Roberts. I'm the resource
10 protection division director at the New Mexico
11 Environment Department. I am here on behalf of
12 Secretary Ryan Flynn. He sends his regards. But,
13 again, thank you for having us and so that we can
14 provide you with an update on the jet fuel spill at
15 Kirtland Air Force Base.

16 It is really truly my privilege to oversee
17 the program that's charged with the regulatory
18 oversight of the jet fuel spill. We've really got a
19 wonderful team at the environment department, and
20 I'm very proud of what we and our partners,
21 including the Water Utility Authority, have been
22 able to accomplish on this project over the last
23 year and a half.

24 And without further ado, it is now my great
25 pleasure to introduce likely some familiar faces to

1 you all who are going to take you through the
2 presentation this evening. First, Mr. Dennis
3 McQuillan. He's our chief scientist for -- at the
4 environment department, and Ms. Diane Agnew. Both
5 have been pivotal to the success of this project,
6 and I honestly could not do my job without them. So
7 I will give you Dennis and Diane.

8 MADAME CHAIR: Thank you.

9 MR. McQUILLAN: Madame Chair, Members of
10 the Board, we have a PowerPoint. Did they give
11 you -- scroll, okay. Okay, thank you. So easy.

12 So we have some really big news to share
13 with you tonight on progress on this project.
14 And -- and our hydrologist, Diane Agnew is going to
15 give you the details, but it's a really, really
16 significant milestone towards collapsing this plume.

17 These are the partners that we have working
18 on this project right now. You can see that the
19 Albuquerque, Bernalillo County Water Utility Board
20 is a major member of the project team, RUKSHA and
21 others, so the success that we're going to tell you
22 about tonight, you guys should feel just as proud as
23 we do on this achievement that we're going to tell
24 you about tonight because it's been a long two years
25 of drilling wells and getting to the point where

1 we're at right now with this major milestone.

2 But we have some of the best scientists and
3 engineers in the United States and certainly in
4 New Mexico working on this project, and we really
5 appreciate the assistance we've had and the
6 collaboration from the Water Board.

7 The work that we're doing is consistent
8 with the strategic plan that the New Mexico
9 Environment Department has put out. This is our
10 plan because we are not just dealing with the
11 resource conservation recovery act, the hazardous
12 waste program, but we also administer the safe
13 drinking water act, and we're the regulator on that.
14 We regulate the water utility to ensure that the
15 water is safe for people who drink.

16 And we had four strategies this year
17 regarding a robust monitoring program and wellhead
18 protection program. We have sentinel wells located
19 between the plume and the drinking water wells to
20 provide early detection. We had a very aggressive
21 plan to investigate and remediate the fuel, the
22 so-called LNAPL that's trapped in there and is
23 providing a source of dissolve phase. We want to
24 collapse the dissolved EDB plume, which has moved
25 furthest and closest to the drinking water wells,

1 and we also want to meet or exceed all the public
2 requirements by statute, and we're doing that.

3 This is the current timeline. You can see
4 where we're at in 2016. A major milestone later
5 this year will be the RCRA facility investigation
6 report, and this is going to pull together almost
7 two decades of monitoring and analysis into a single
8 report, and that will provide the basis for the
9 corrective measures evaluation, which will decide
10 the final remedy. Right now we are an interim
11 corrective measures. All the work that's been done
12 in attacking this plume has been done under the
13 hazardous waste program as an interim measure.

14 So the -- just about a year ago, the first
15 extraction well went online in June of 2015. We had
16 a temporary groundwater treatment system. That was
17 a huge milestone. Since then, the full scale
18 groundwater treatment system went online in
19 December. We had -- we had a tour of that in April
20 for the public, and the second and third extraction
21 wells came online in December as well. And they're
22 each pumping at about 400 gallons a minute. We've
23 been using the water for irrigating the golf course
24 at the Air Force Base.

25 We're now doing a pilot study, had started

1 a pilot study in injecting it back into Kirtland 7,
2 which was the former drinking water well. This is
3 going to be really good for the sustainability of
4 your aquifer. We're pumping the water out,
5 purifying it to less than detectable levels, and
6 injecting it back in as well as inject -- landing it
7 on the golf course.

8 We have treated more than 70 million
9 gallons of contaminated water, removed any
10 detectable EDB from that. And that water, again,
11 has been used to irrigate the golf course or to --
12 for reinjection to preserve the sustainability of
13 your aquifer.

14 The -- we've had a busy year with the
15 technical groups. This is -- these are the groups
16 that the water utility staff participate in. We've
17 had a lot of work in the soil or the vero stone and
18 we have a very aggressive plan. We're going to fill
19 data gaps, drill some more wells later this year.
20 We have one more extraction well that we're going to
21 put in south of Gibson, and Diane is going to show
22 you in just a minute the progress we've had on
23 containing or the attack on that end of the plume.

24 There have been no detections of any
25 contaminants in the drinking water wells, either

1 yours or those that belong to the Air Force or those
2 that belong to the Veteran's Administration
3 Hospital. In this sentinel wells, they're located
4 between the plume, and the drinking water wells are
5 also clean. These are typically nests of three
6 wells that are located between the plume and the
7 drinking water wells. Those are also clean. So
8 we're pretty confident right now we're going to keep
9 this contamination out of the -- out of the drinking
10 water.

11 So we have a plan to attack this plume.
12 It's going to involve multiple technologies,
13 deployed both simultaneously and sequentially. We
14 have a plan for the soil of the vero stone. We have
15 a plan for the source area where the oil is trapped,
16 and we have a plan for the dissolve phase, which is
17 the portion that's gone into the groundwater and has
18 migrated furthest downstream and closest to the
19 water supply wells.

20 We're also on the verge of doing --
21 commencing the required risk assessment that's a
22 required element of the hazardous waste corrective
23 action, and I just want to talk a little bit about
24 that. We basically gather all historical data and
25 all the current data and we look for pathways where

1 humans can be exposed to contamination. And we
2 evaluate those pathways. If there are any, they are
3 known, and I'll tell you that in just a minute. And
4 we have a guidance document that the Air Force has
5 to follow to do that. If there's any new data
6 during the process to come along, then we update and
7 reevaluate the risk assessment.

8 But right now we've identified the
9 potential exposure pathways, and there are no
10 pathways that are complete. These are just
11 potential pathways where there is no way for the
12 contamination to get into humans. The drinking
13 water pathway, all the drinking water wells are
14 safe. The sentinel wells are safe.

15 The surface soil, what contamination there
16 had been over on the base, all that has been removed
17 to the extent that we didn't want to undermine
18 buildings. There is no pathway to surface water
19 into Tijeras Arroyo. Vapor intrusion, the
20 groundwater is much too deep, and the -- the
21 buildings are too far away from where the leak
22 actually occurred on base.

23 We've had vapor intrusion, like along
24 Isleta Boulevard, historically where the groundwater
25 is six feet. We're at 500 feet here. It is just

1 not going to happen. And similarly, vegetable
2 gardens are safe. There's not going to be a vapor
3 intrusion into the gardens, and the water they use
4 to irrigate comes from the water utility. It is
5 safe. And they're way too far away from where the
6 leak occurred on the base. And recreational
7 activities in Bullhead Park and the dog park, even
8 though that's over the top of the plume, there's
9 nothing coming up. So there are no exposure
10 pathways right now for this plume for humans to be
11 exposed to this.

12 COMMISSIONER DAVIS: Okay. I'm sorry.

13 MR. McQUILLAN: We have copies of this --

14 MADAME CHAIR: Excuse me just a minute.

15 Councilor Davis has a question.

16 MR. McQUILLAN: Sure.

17 COMMISSIONER DAVIS: Thank you, Madame
18 Chair, and thank you. Briefly, and I'd appreciate
19 that if we go back to that -- or there it is there.
20 On the issues about vapor intrusion in garden
21 vegetables and whatnot, I recognize and I realize
22 that the science says there is no pathway there.
23 But there have been a number of folks who have or
24 requested or looked at or asked a question about
25 whether we have done verifiable real world analysis

1 to verify that information and if there's a process
2 in place by which to do that work. I understand
3 there's a health analysis or a health assessment,
4 I'm going to use the wrong word, and I'm looking at
5 the people who are going to tell me I'm using the
6 wrong word, currently underway or being planned.
7 Can you tell us just a little bit about that to give
8 the folks at home who will see this later some
9 updates there?

10 MR. McQUILLAN: Sure. One of the reasons
11 that we're really confident about this is that the
12 vapor intrusion only occurs from contaminated
13 groundwater in a really shallow environment. And
14 I've investigated a lot of these over my career,
15 Albuquerque, Espanola, Santa Fe, Las Cruces, and so
16 on, and you have to have really shallow groundwater.
17 And you basically have to be within about 20 feet of
18 even soil contamination. Let's say it didn't get
19 all the way to the groundwater, but if you had a hot
20 spot in soil, buildings, crawl spaces, basements,
21 anything like that, underground utilities are also
22 another area where vapor intrusion can occur. We're
23 just not going to see it at 500 feet.

24 So what we've done is more than 300 vapor
25 monitoring wells have been installed beginning at

1 ground zero where the source -- where the leak was
2 and moving out to define the three dimensional
3 extent of the soil vapor contamination. And -- and
4 that's the basis for it.

5 Yeah, and we have -- we have copies of
6 this. It's in your packet. And I appreciate the
7 question. Very, very good question. And so I'm
8 going to turn it over to our project hydro geologist
9 Diane Agnew, and I didn't steal any of her thunder.

10 MS. AGNEW: Good evening. And I -- I am
11 excited to have the opportunity to present to you a
12 success story, so this is a major milestone in the
13 progress of the project. In June, as Dennis
14 indicated, we started the first extraction well in
15 the plume collapse, and the data I'm about to show
16 you is exciting. I think it was exciting to
17 everyone a non-hydrologist, but I'll let you decide
18 that.

19 So this -- this slide is really just to
20 help get everything in perspective. So the pink
21 dashed line is the Kirtland Air Force Base boundary.
22 You can see there's four -- three blue diamonds on
23 the graphic. Those are the existing extraction
24 wells that are currently in operation. And the
25 purple diamond is for the fourth extraction well

1 that will go in this summer.

2 There's a lot of lines on here, but the
3 ones that are really important are the yellow arrows
4 as showing you the route that the water is flowing.
5 It goes into the treatment system. It's a very
6 small green dot because it's a really small
7 footprint but it packs a lot of treatment power.
8 And then it goes down through pipe, underground pipe
9 that goes either to Kirtland 7 where we're doing our
10 reinjection pilot tests or it goes out to Kirtland
11 Air Force's golf course where it's used to irrigate
12 the golf course.

13 Here's a picture of our treatment facility.
14 This is a facility that officially went online on
15 December 31st, 2015. It was a great New Year's Eve
16 gift. And you can see in the photos down below
17 there's two 20,000 pound granulated activated carbon
18 treatment beds, and these are where the heavy
19 lifting of treatment is conducted. The total
20 treatment capacity of the system as its built right
21 now is 400 gallons per minute and has been in
22 operation continuously with a few maintenance
23 downtimes since it began operation in December.

24 So here is the exciting graphic. This is
25 showing one of the major milestones of the treatment

1 system. One of the things that we had done to place
2 these wells is we had gone through numerous
3 technical meetings, simulated models, looking at
4 extraction rates, placements of these wells to make
5 sure that we could fully capture the EDB plume and
6 the down gradient extent of it.

7 And what this graphic is showing you are
8 the water levels that were measured in quarter one
9 of this year. So that's actually only a couple of
10 months of operation with all three wells, that you
11 can see that we've got groundwater depressions in
12 the water table, and we can show the spread outline
13 which I'm calling the Kona depression. That's just
14 a technical term indicating that we know that we
15 have lowered the water level in this area and that
16 we're pulling the entire EDB plume into the
17 extraction wells.

18 That will be verified by EDB concentration
19 data that we collect over time. But this is huge.
20 This is showing us that we placed those wells in the
21 exact right location and we've been on target with
22 our extraction rates.

23 And then you can see -- oh, I don't know if
24 I can do the laser pointer. I don't have a laser
25 pointer. But you can see that the two wells down

1 just off of Gibson, you can see that there's little,
2 you know, donut holes over those. That's actually
3 showing the effect that those two wells are having
4 on the -- the water table in just a matter of
5 months. So this is really promising data.

6 So what's in store for 2016? We actually
7 have quite a bit on deck. We will be installing
8 additional data gap monitoring wells. I'm going to
9 go back to this graphic really quickly. Up here in
10 the northern-most extraction well you can see that
11 there's a nose of the EDB plume that we haven't
12 quite boxed in yet. We've all decided through a
13 series of technical working groups that we could
14 really install three more monitoring wells to
15 further define that and have high confidence in the
16 complete delineation of the plume.

17 We're going to do aquifer testing of the
18 last two extraction wells that were installed. And
19 this is really to help us understand what's
20 happening in the aquifer and inform future
21 extraction well design and operations. So this is
22 just another data collection event for site
23 characterization and optimizing the treatment
24 system.

25 We'll do the fourth extraction well this

1 summer. That will be on Ridge Crest Drive south of
2 Gibson, and then we'll expand the treatment system
3 so it has the ability to treat up to 800 gallons per
4 minute.

5 And then we'll also be starting to zero our
6 focus in on the source area. So that's one of the
7 areas that we have data on and we feel like after a
8 year of additional testing, including the In Situ
9 remediation testing that we can put in some pilot
10 tests this year. So we expect a work plan actually
11 any week now on the In Situ Anaerobic degradation
12 pilot test work plan. That will actually be to
13 remediate in the source area. It will be a
14 predability study to see -- we've done a bunch of
15 bench skill tests so we know in the lab and based on
16 theory that it will be good. It should work, and so
17 we're going to scale it to a field scale.

18 And then we'll begin work on that later
19 this fall. So they expect to mobilize in August, so
20 start drilling the wells and installing the system.
21 We also know from the data that we've collected over
22 the last year that bioventing is an interim measure
23 that we should look at because we believe that it'll
24 be an effective remediation method in the source
25 area. Bioventing is the reverse concept to soil

1 vapor extraction, which I think the board is
2 familiar with from the last 12 years at Kirtland.
3 We've been pulling soil air out and treating it.
4 And bioventing is actually the reverse concept of
5 injecting air back into the soil, and that provides
6 oxygen to bugs that we know are existing in the soil
7 and enhancing remediation.

8 We'll also be soil coring in the source
9 area, because there's a couple of data gaps we know
10 we have. One of the things the team would real like
11 to understand is what the nature of the fuel
12 contamination is, how -- what's the age of the fuel,
13 how degraded is it, are there hot spots, can we
14 target our remediation even more.

15 And then there's also the idea of a source
16 zoned depletion. This is a technical term, but
17 there's several bits of data that we have in house
18 now that indicate that we may actually have natural
19 remediation happening in the soil, and we'd like to
20 better quantify that moving into the corrective
21 measures evaluation. And so we'll keep doing
22 technical working groups. This is a great tool to
23 their project, and this is where the Air Force,
24 NMED, and contractors bring in their A-plus team to
25 the meetings and we look at the data. We find out

1 what data we need, how to collect it, and really
2 keep moving aggressively in the remediation at the
3 plume.

4 This is a slide just to show what we've
5 done to date. You can see that we've had six
6 outreach events since the start of year. The bulk
7 of them were in April. You can see April was a very
8 busy month. I'd like to highlight a couple on here.
9 February we presented to the Highland High School.
10 This is an initiative of the team to reach out to
11 stem programs, engage students, inform them. What
12 we was go and give them a presentation of the data
13 and the site and then they pick out a chunk of it
14 and they do a presentation on it.

15 Highland, actually, the kids designed
16 entire filtration studies based on the data to test
17 the hypothesis of what would be the best way to
18 filter contamination and presented that at the
19 public meeting. So that's -- each -- each public
20 meeting we hope to have another set of high school
21 students.

22 And then we also have the engineering club,
23 so we went down to New Mexico Tech. We've been
24 talking to UNM, getting their engineering students
25 engaged, and there may be opportunities there for

1 some further data deep dives as part of a senior
2 project or a master's thesis.

3 And then this is -- these are upcoming
4 events. We have a public meeting in July. It will
5 have the standard format we've been using of a
6 poster session and a presentation, but this time
7 we're actually adding a technical workshop and we're
8 calling it a Technical Deep Dive. It's an
9 opportunity to go and sit in the room with experts.
10 We're going to focus on groundwater modeling this
11 meeting and see the nitty gritty of how a
12 groundwater model is developed, how it's run, and
13 how it's used to make decisions. And so it will be
14 quite a bit more of a technical presentation than we
15 typically do, but will provide a level of detail
16 that the public has been asking for, for quite a
17 while.

18 MADAME CHAIR: Ms. Agnew, if I may
19 interrupt you. Mr. --

20 COMMISSIONER PERRY: I'll wait until the
21 end.

22 MADAME CHAIR: All right. Thank you.
23 Go ahead.

24 MS. AGNEW: And then we also have a
25 listening session that's the -- I believe Maggie

1 Hart -- Commissioner Hart Stebbins is planning with
2 others in the community as being an opportunity for
3 the public to come and provide questions and
4 comments to both elected officials and the project
5 team.

6 And we also are going to be presenting at
7 the Rotary Club. And October is a new feature in
8 their project. Again, the public has been really
9 asking for the ability to roll up their sleeves with
10 us and get down into the data and really understand
11 how we're getting to the conclusions we're getting
12 to. So that's what we're going to do in October.
13 We're going to break out several hours where we'll
14 have all the data that we have in house, and we'll
15 just get into the bottom of the data and walk along
16 the path. And then again in November, a public
17 meeting.

18 So with that, we're happy to take any
19 questions.

20 MADAME CHAIR: Thank you, Ms. Agnew.

21 Mr. Perry?

22 COMMISSIONER PERRY: Thanks.

23 I'd first like to start with thanking you
24 all for coming down and giving this presentation.

25 I think that the New Mexico Environment

1 Department, as the regulatory authority for the
2 state, has done a good job of staying on top of this
3 and any significant environmental contamination.
4 And we obviously have the federal government, at
5 least the U.S. Air Force as the contaminator, and
6 they have the resources, and it doesn't have to go
7 super fund through congressional acts and all kinds
8 of other regulations that probably we would still be
9 talking about instead of having straws in the
10 ground, and, of course, I'm using that kind of
11 simplistic terminology, but for a reason.

12 What I'm amazed at, though, is that since
13 December we've had three wells operational which are
14 pump and treat facility, supposedly the most
15 aggressive remediation method possible for removing
16 the ethylene dibromide from the water. And we've
17 pumped 72 million gallons of water through there, in
18 the photograph of that groundwater treatment
19 facility, I'd venture to say the Air Force has spent
20 probably close to the initial \$50 million that was
21 appropriated for this, and what we've pulled out of
22 there is about this much EDB, less than one ounce.
23 It's probably less than that.

24 Can you help me understand that? Because
25 I'm not a scientist and just why that's significant.

1 Maybe we'll hit richer patches of being able to
2 extrapolate the primary contaminant and the like.
3 But that strikes me as kind of a strange phenomena.

4 MS. AGNEW: Yeah. No, that's a great
5 question, and one that takes some time to wrap our
6 heads around even with the technical team. The
7 thing to remember about the portion of the plume
8 that we're working in is it's very low
9 concentrations of EDB. So where these wells are
10 located, the yellow outline on the slide that I have
11 up on the screen is -- those are the concentrations
12 of EDB greater than the EPA drinking water
13 standards. So we have 5.05 micrograms per liter,
14 and I think, I would have to go back and check the
15 fourth quarter data, but I think the highest
16 concentration of EDB we have out here is 1. So it's
17 very low concentrations, so you are going to have to
18 pull a lot of water to be able to remove all the EDB
19 in -- in a given gallon of water.

20 And we are targeting the down gradient
21 portion of the EDB plume because we know we can get
22 after it and if we pull this back towards the base
23 and then we can -- I like to think of it as like
24 having several lines of defense. You know, when you
25 have -- you have different levels of artillery you

1 deploy when you're going to battle, and that's
2 exactly what remediation is like, is you're not
3 going to be able to apply the same remediation to
4 the entire plume.

5 EDB was -- it was a given. We knew it
6 would work. We could get it going quickly. We
7 could get after the EDB to instead of holding
8 ground, we could pull it back having high confidence
9 we'll never get to the water supply wells and in the
10 meanwhile get these interim measures in place in the
11 source area. And that's where you're going to see
12 the heavy lifting of removal. So it is a
13 significant -- it is a significant volume of water
14 for grounds of EDB removed, but that's what -- it's
15 doing exactly what we wanted it to do.

16 COMMISSIONER PERRY: I appreciate that.

17 And maybe, Dennis, if you want to --

18 MR. McQUILLAN: Yeah, we really appreciate
19 that question. We've had to answer this several
20 different ways. The EDB is the most mobile
21 constituent of the plume. It's also the most toxic.
22 And it's that portion of the plume, which is at very
23 low levels, like Diane said, that has migrated out
24 and was threatening the wells. So we wanted to
25 start there, collapse that plume, pull it back. Now

1 when you look at the anatomy of this plume, when you
2 look over by the source area, you have much higher
3 levels of contamination. And in addition to EDB, we
4 have benzene and all the hydrocarbons go with the
5 fuel.

6 The soil vapor extraction system has either
7 recovered or biodegraded a million gallons of fuel,
8 so that's -- there's a large mass over there.
9 Unfortunately what's migrated out and is posing the
10 biggest threat to the water supply wells are these
11 concentrations of EDB that are at a part per billion
12 or less. The stuff is so toxic, unfortunately it's
13 also very water soluble. So like I said, there's
14 going to be different engineering strategies
15 simultaneously and sequentially for different parts
16 of this plume.

17 COMMISSIONER PERRY: Okay. And I
18 appreciate that explanation. It makes perfect
19 sense. But once you get to the richer areas that
20 have the EBD -- EDB, do you anticipate higher
21 removal rates than an ounce?

22 MR. McQUILLAN: Absolutely.

23 COMMISSIONER PERRY: I mean, you know, when
24 I think about this and jet fuel contamination for
25 however long it happened, and I know there's some

1 debate about that, and I think about volume down
2 there and contamination, I'm just wondering like
3 what realistically the strategy is to bring this
4 back to drinking water quality EPA standards and
5 what the extraction looks like.

6 And I understand what you're saying about
7 SVE being effective against some of the other
8 contaminants and the like. But like so five years
9 from now, what do you think? I mean, you've
10 probably pumped at that point a billion gallons of
11 water.

12 MS. AGNEW: Well, so one of the things
13 about the plume collapse system is that it's going
14 to continuously be evaluated to make sure that we're
15 not pumping water needlessly. So as -- as the plume
16 comes back pumping rates will be adjusted and, you
17 know, wells may be turned off as -- you know, as the
18 EDB plume, if it comes down to Gibson, we may
19 evaluate whether or not we need to run this
20 northern-most well, for example.

21 So there's that that's going to be in play.
22 And then absolutely, once we start treating the
23 source area we should see higher removal numbers. I
24 mean, you really should be -- I mean, like Dennis
25 said, the soil vapor extraction removed a million

1 gallons of fuel. That's a huge number.

2 And we -- this was one of those moments in
3 the project where I think we were all surprised at
4 how well it had done. We had done 12 years of soil
5 vapor extraction, and we were sitting in a room and
6 Dennis was looking at some pressure data and he was
7 like I wonder, you know, are we actually starting to
8 see depression in the groundwater, are we treating
9 the groundwater with SVE?

10 We said, I don't know, let's -- let's do a
11 test to find out. You'll hear us call -- talk about
12 the shut-down test. We shutdown all SVE and we've
13 been measuring soil vapor concentration since then.
14 And what we've been able to figure out is the soil
15 vapor out there is much slower than we had
16 previously been assuming it had been and the SVE had
17 really shrunk down and we identified just two hot
18 spots that needed to be treated, and also looked at
19 biodegradation data so we were able to say, oh, you
20 know, at 250 feet we have this hot spot but we also
21 know the bugs are screaming and are eating away at
22 the hydrocarbon very effectively. What can we do to
23 help them out? Let's get them some oxygen, and so
24 you should see these numbers keep ticking upwards.

25 MR. McQUILLAN: And we love talking about

1 this stuff and really appreciate the question. So
2 with regard to the groundwater -- with regard to the
3 groundwater below where the leak had occurred,
4 that's where there's a lot of mass. There's still
5 oil. Not dissolve phase, but liquid oil trapped in
6 the soil. So one of the things that was done
7 previously is they took samples of the soil in the
8 aquifer in the groundwater itself and they sent it
9 to a laboratory and they began adding amendments
10 because this water in the soil had bacteria in it
11 that occurred naturally in the groundwater.

12 And basically the purpose of these, what we
13 call laboratory microcosms, was to figure out what
14 the bacteria like to eat and what -- and what's
15 going to help them biodegrade the fuel in the EDB
16 faster. And on the basis of those microcosms we're
17 now going to be gearing up -- I guess the wells will
18 be drilled later this year and actually around
19 sometime next -- this coming winter, we're going to
20 set up a cell in the groundwater, which is the next
21 step from the microcosms, we're going to be
22 injecting amendments and circulating it and see if
23 we can achieve the same results in the groundwater
24 in the source area where the high levels are and
25 where the fuel is.

1 And this is how it's done in this industry.
2 You gear up for microcosms, take that information
3 and see if you can get the same results in the -- in
4 the aquifer. And so this will hopefully lead to our
5 attack on the 44-acre area where we have the oil.

6 COMMISSIONER PERRY: Well, thank you for
7 that answer. I didn't do very well in math and
8 science, and that's probably why I went to law
9 school. But I do find you very, very interesting,
10 and I've known Dennis for about 24 years now when we
11 were doing meth labs, and I have the utmost
12 appreciation for your expertise and your scientific
13 commitments and I know we have good people on it
14 with your team. And thanks for the good work, and I
15 wish you well.

16 MR. McQUILLAN: Thank you.

17 MADAME CHAIR: Thank you.

18 Thank you. Excellent presentation.

19 Any other questions?

20 MR. McQUILLAN: Madame Chair, if we may.
21 We wanted to introduce Kate Lynnes who is with the
22 Air Force.

23 MADAME CHAIR: Yes.

24 MR. McQUILLAN: And also Nancy Verses with
25 one of the homeowner's associations who has

1 partnered -- one of the partners on our project. I
2 just wanted to acknowledge that it's not just
3 government that's working on this. We have a number
4 of homeowner associations that are working with the
5 team to help us tackle this problem.

6 MADAME CHAIR: Great. Thank you. And
7 welcome, ladies.

8 MS. LYNNE: Thank you. And thank you for
9 inviting me here this evening. I just started in
10 September. My name is Kate Lynnes. I'm the senior
11 advisor for the Bolt Fields Remediation Project.
12 And I was hired by the secretary of the Air Force's
13 Office of Infrastructure Energy and Environment to
14 work here in Albuquerque as a representative of the
15 secretary of the Air Force's Office for the --
16 because of the importance of this project both to
17 the Air Force and this community.

18 And I just -- I want to echo what Kate
19 Rob -- Katie Roberts said. We're working with
20 wonderful people and very talented people, both our
21 technical staff and with the New Mexico Environment
22 Department and our neighborhood stakeholders. And I
23 have been in this business for way too long, over 30
24 years, and this is a really impressive project when
25 you look at the intellectual and practical fire

1 power that we have brought to this project to get
2 this done.

3 To your comment about law school, I'm one
4 of those crazy people that actually got an
5 engineering degree, then went to law school and
6 said, oh, God, I don't want to do this and I went
7 back into engineering.

8 I just briefly want to touch on two points.
9 Your question, Mr. Davis, about the risk assessment.
10 The risk assessment report will talk about why we
11 absolutely know beyond a shadow of a downtown that
12 there cannot be anything from that plume up to the
13 soil. And all the calculations and everything will
14 be there. It will be totally transparent. It's
15 basically this thing called Henry's law that was
16 created by a chemist back in 1801. And it's been
17 used since 1801, and we're really confident in it.
18 So anyone can look at those calculations and
19 hopefully see them and say -- you know, bring in an
20 expert to look at them and say, yep, they're right.
21 The vapors can't get that high.

22 And second, I just want to make another
23 quick point about why so little itty bitty of EDP
24 when we're pumping so much water. I think it's
25 important to look at the pump and treat system, and

1 this is -- you know, this is -- maybe say it just a
2 little differently than Dennis and Diane said, is
3 that I view it as it's really doing two functions.

4 And one of the main ones is that collapse.
5 When we talk about collapse and the figure with the
6 Kona depression on there, one of the main things
7 we're trying to do here is pull that sucker back,
8 make it stop moving forward and bring it back
9 towards the base. This means that the Ridge Crest
10 wells would never be impacted. We want to make sure
11 that never happens, it hasn't happened, and this is
12 our way of making sure that plume doesn't keep
13 moving forward, which is like the main thing this
14 pump and treat is doing.

15 But our obligation to the community and
16 under our RCRA permit is to also clean the water as
17 we go. And so we knew based on those very low
18 concentrations of EDB that are in that distal part
19 of the plume that Diane and Dennis described so well
20 that we're going to get very little amounts out from
21 that. But that's not the only thing we're doing.
22 We're also stopping that plume from moving and we're
23 treating it as we're pulling it back. So please
24 think of it that way when you look at that little
25 bit that we take out of there that also is that

1 plume being stopped and pulled back, and I think
2 that's a really, really important thing that
3 sometimes gets lost when people just look at the
4 little bit that we're taking out right now.

5 And also we're doing remediation in the
6 source area. We have been for 12 years before this
7 with the soil vapor extraction, and we will continue
8 to do some more things as Dennis and Diane talked
9 about to help finish the job in the source area.
10 Every ounce we take out there never dissolves and
11 gets into the plume to feed it.

12 And lastly, for those of you who weren't at
13 our April field trip, if anyone wants to come out
14 and look at our treatment facility, feel free to
15 contact me. I would love to take you through it.
16 The tanks are much more impressive when you're
17 standing next to them than when they're in a
18 photograph. Thank you.

19 MADAME CHAIR: Thank you. And, Ms. Lynnes,
20 I want to thank you. I can understand your
21 technical terms when you say to me and us we're
22 going to pull that sucker back, I understand what
23 you're saying, so thank you.

24 MS. LYNNES: Oh, good.

25 MADAME CHAIR: And to the rest of it, maybe

1 not so clearly but --

2 MS. LYNNES: You know, hydraulic control
3 and collapse sound fancier but pull that sucker back
4 is really what I want to do.

5 MADAME CHAIR: I get it. Thank you so
6 much.

7 MS. LYNNES: Okay, good. Thank you.

8 MADAME CHAIR: Thank you.

9 Ms. Pearce?

10 MS. PEARCE: Good evening everyone. Thanks
11 for letting me speak for just a moment. We've been
12 on a three-year journey right now with these folks
13 because we were the ones that were really screaming
14 about we don't want to hear the technical terms of
15 pulling it back, you know, making dimples or, you
16 know, EDBs or whatever else it is that they are
17 talking about. And I know they're behind me and
18 they're probably staring at the back of my head
19 right now, but that's okay because part of this
20 process is involving stakeholders and for 12 years
21 it did not or if it did it did a really rotten job
22 at it.

23 And I'm here to say these past three years
24 have been the difference between night and day, and
25 that's a credit not only to this team behind me but

1 also to the neighborhoods that had the courage and
2 came and spoke to some of you that said this isn't
3 happening well. It's not good enough for
4 stakeholders to understand and to participate in
5 this clean up process. And part of it was nobody
6 wanted to talk about it.

7 And we know what happens when people don't
8 want to talk and keep it in the dark and keep it
9 quiet. Your imagination runs wild. You can imagine
10 that your gardens are going to be affected, that
11 especially in our area in the International District
12 we have over 10 community gardens. Can we even eat
13 that food? Should we even bother to plant? I mean
14 those were very basic questions, and if you're not
15 talking about it then things become secret, they
16 become hidden, and again your imagination just one
17 runs wild.

18 We didn't want that. We knew there was
19 scientists out there that could speak our language
20 and we could speak theirs and it was just a matter
21 of making that a priority for everybody. And I
22 think over the past three years we've done that.
23 When you talk about funding and using more money
24 than we ever thought we would have, yes, we have,
25 but it's been a critical piece that we've had to.

1 You've seen two or three people here that you didn't
2 see three years ago. They are on the project now,
3 on the ground, additional resources that we didn't
4 have, and those resources are very invaluable to
5 community because they can talk our language because
6 we're supposed to be on these -- some of these
7 technical committees and we have to understand what
8 they're saying.

9 And I don't know how many times Diane
10 behind me has had to explain in a public meeting
11 when I keep raising my hand, I don't understand, I
12 don't understand, please explain it again, and she
13 has and she's done it patiently and respectfully,
14 and for that we thank her and the rest of the team
15 as well.

16 When you talked about the strategic plan
17 that's gone into effect, please know that the
18 community did put forth a public comment in that.
19 We were only one of two public comments that were
20 received. I would encourage you, either
21 individually as a commissioner or as a councilor or
22 as a water authority to make those public comments,
23 to put something in writing and get on record about
24 any goals that you want to have for this clean up.
25 It's very important. I should be preaching to the

1 choir. I hope I am, but I didn't see your comments.
2 Please write them down and send them in. You're
3 part of the stakeholder process too.

4 Thank you so much.

5 MADAME CHAIR: Thank you, Ms. Pearce.

6 Thank you for the presentation. It was
7 very well received and we appreciate it. Thank you.

8 The --

9 COMMISSIONER PENA: Madame Chair?

10 MADAME CHAIR: Yes, Councilor Peña?

11 COMMISSIONER PENA: Just quickly, I just
12 wanted to congratulate Nancy on her recent primary
13 win.

14 NANCY: Thank you, Councilor.

15 MADAME CHAIR: Okay. The next on the
16 agenda is an introduction or the first reading of a
17 legislation. This will be R-16-8 authorizing an
18 agreement with Pulte Homes of New Mexico for the
19 Montecito Vistas Units 1-4 subdivision for water and
20 sewer service.

21 I think Mr. Price is going to talk about
22 this.

23 MR. PRICE: Good evening, Board Members.
24 I'm David Price, the engineering division manager
25 for the Water Authority. I'm here substituting for

1 Chris Cadana who is out of town.

2 As you just stated, Pulte Homes has
3 submitted a request for a development agreement to
4 provide water and wastewater service to a new
5 housing development up in the northwest portion of
6 the city, actually near the intersection of Unser of
7 Rainbow, consists of 136 residential units. And
8 that's about it. It's located in the volcano trunk.
9 And as I said, it's just west of Unser of and
10 Rainbow.

11 MADAME CHAIR: Are there any questions?

12 There's a motion and a second. Actually
13 there's no approval if this is the first reading, so
14 it'll be at the next meeting.

15 MR. PRICE: Great.

16 MADAME CHAIR: Thank you, sir.

17 Next on the agenda is the consent agenda.
18 Any board member may request that a consent agenda
19 item be placed on approvals.

20 COMMISSIONER DAVIS: I move approval.

21 COMMISSIONER PERRY: Second.

22 MADAME CHAIR: There's a motion and a
23 second to approve the consent agenda. All those in
24 favor say yes.

25 ALL COMMISSIONERS: Yes.

1 MADAME CHAIR: Opposed? Motion carries
2 unanimously.

3 Next on approvals is R-16-6 which
4 authorizes an agreement with Woodmont Paseo, LLC for
5 the Durango units 4 and 5, subdivision for water and
6 sewer service.

7 I think, Mr. Price, you're going to tell us
8 about this one too.

9 MR. PRICE: That's correct, Ms. Chairman.
10 This is another housing development up in the
11 northwest portion of the city. Again, it's near the
12 intersection of Rainbow and Paseo Del Norte. It's a
13 housing development consisting of 36 lots. It lies
14 within the purchase zone 4-W of the Corrales trunk.
15 And they're requesting water and wastewater service.

16 MADAME CHAIR: There's a motion and a
17 second for approval. Is there any discussion? All
18 those in favor say yes.

19 ALL COMMISSIONERS: Yes.

20 MADAME CHAIR: Opposed? Motion carries
21 unanimously.

22 And then we have R-16-7 authorizing
23 agreement with Rio Grande Realty and Investments,
24 Inc., for Holly Estates for water and sewer service.

25 Mr. Price?

1 MR. PRICE: Yes, this is another housing
2 development up in the -- actually in the northeast
3 portion of the city along Paseo Del Norte that
4 consists of 16 individual residential lots, and
5 they're requesting water and wastewater service.

6 MADAME CHAIR: Are there any questions?
7 There's a motion and a second for approval. All
8 those in favor say yes.

9 ALL COMMISSIONERS: Yes.

10 MADAME CHAIR: Opposed? Motion carries
11 unanimously.

12 MR. PRICE: Great. Thank you.

13 MADAME CHAIR: Thank you.

14 Seeing no further business, the meeting is
15 adjourned.

16 [Meeting adjourned.]

17

18

19

20

21

22

23

24

25

1 STATE OF NEW MEXICO
2 COUNTY OF BERNALILLO
3
4

5 REPORTER'S CERTIFICATE

6 I, Paul Baca, New Mexico Certified Court
7 Reporter, No. 112, do hereby certify that I reported
8 the foregoing proceedings in stenographic shorthand
9 and the pages are a true and correct transcript of
10 those proceedings and were reduced to preinted form
11 under my direct supervision.

12 I FURTHER CERTIFY that I am neither employed by
13 nor related to any of the parties or attorneys in
14 this matter and that I have no interest in the final
15 disposition of this matter.
16
17
18
19

20 PAUL BACA

21 Certified Court Reporter, #112

22 License Expires: 12/31/16
23
24
25