

ALBUQUERQUE BERNALILLO COUNTY  
WATER UTILITY AUTHORITY MEETING  
Wednesday, March 21, 2018, 5:07 p.m.

VINCENT E. GRIEGO CHAMBERS  
ALBUQUERQUE-BERNALILLO COUNTY GOVERNMENT CENTER  
ALBUQUERQUE, NEW MEXICO 87102

A P P E A R A N C E S

COUNCILOR TRUDY JONES, Chair

COMMISSIONER DEBBIE O'MALLEY, Vice Chair (excused)

COUNCILOR PAT DAVIS, Member

COUNCILOR KLARISSA J. PENA, Member

COMMISSIONER STEVEN MICHAEL QUEZADA, Member (excused)

COMMISSIONER LONNIE C. TALBERT, Member (telephonic)

MAYOR TIMOTHY M. KELLER, Member (excused)

PABLO RAEL, Trustee (excused)

COMMISSIONER MAGGIE HART STEBBINS, Alternate

SARITA NAIR, Alternate

BEFORE: KIM KAY SHOLLENBARGER, RPR, CCR #236  
Paul Baca Professional Court Reporters  
500 4th Street, Northwest, Suite 105  
Albuquerque, New Mexico 87102

1           CHAIRWOMAN JONES: Good evening, ladies and  
2 gentlemen. Let's call this meeting to order.  
3 Commissioner Quezada is excused and Commissioner Hart  
4 Stebbins will be an alternate. Commissioner Talbert  
5 will be participating by telephone. All other  
6 members are or will be present.

7           Let's start with a moment of silence, then  
8 the Pledge of Allegiance led by Commissioner Hart  
9 Stebbins.

10           (Invocation/Pledge of Allegiance)

11           CHAIRWOMAN JONES: Thank you. And thank you  
12 all for being here this evening. It looks like we  
13 have a really good crowd.

14           So I would like to make one change in the  
15 agenda. We will be moving Item 10A to the first  
16 agenda item this evening. This is a Water Report by  
17 Kirtland Air Force Base. It's an update of the Water  
18 Report. So we would like to ask the presenters to  
19 come forward and give us your information.

20           Please go ahead. Good evening.

21           MR. CORRELL: Good evening. I'm Mark  
22 Correll. For those who don't know me, I'm the Deputy  
23 Assistant Secretary of the Air Force for Environment,  
24 Safety and Infrastructure, deeply involved in the  
25 Kirtland Bulk Fuels Cleanup for many years now.

1           I just want to take a brief moment this  
2 evening to take the opportunity to let you know that  
3 we're making some minor tweaks or adjustments from  
4 the Air Force's perspective of how we oversee the  
5 cleanup.

6           Two things I wanted to advise you of  
7 tonight. First, there's been some concern in the  
8 community and the stakeholders in the past of, who is  
9 the single voice of the Air Force when we're talking  
10 about the Kirtland Bulk Fuels Cleanup and that hasn't  
11 always been as clear to everyone as it probably  
12 needed to be and could create some confusion in the  
13 community and with our stakeholders.

14           So tonight I'd like to let you know that I  
15 have worked with our Air Force Civil Engineer Center  
16 and the 377th Air Base Wing senior leadership and  
17 we'll let you know that our long-serving, highly  
18 qualified expert, Ms. Kate Lynnes, who lives here and  
19 works here on this project, will be the single voice  
20 of the Air Force with regard to the cleanup. I don't  
21 want you to think that changes anything dramatically  
22 in terms of how we're doing anything or what we're  
23 doing, but we want to make it clear who's speaking  
24 for the Air Force. The Air Force Civil Engineer  
25 Center will continue in its role of doing the

1 technical work associated with the cleanup, as well  
2 as interacting with our contractors and the New  
3 Mexico Environmental Department.

4 The second thing I wanted to announce  
5 tonight was that we're going to make a change in how  
6 we do our public affairs work on the cleanup. In the  
7 past the lead has been our Public Affairs Office from  
8 the Air Force Civil Engineer's Center in San Antonio.  
9 We're going to now make that the Public Affairs  
10 Office of the 377th Air Base Wing here at Kirtland.  
11 We'll have a dedicated public affairs person in the  
12 wing assigned to Ms. Lynnes to ensure that we are  
13 communicating directly to the community and  
14 stakeholders on the cleanup with folks who are in  
15 town, understand the dynamics of what's going on.  
16 The Civil Engineer Center will continue to provide PA  
17 reachback support to the folks here at Kirtland, but  
18 we will resource them to ensure that we have a good  
19 public affairs presence here and are able to  
20 communicate with everyone involved.

21 That's all I wanted to give you this evening  
22 and I thank you for your time.

23 CHAIRWOMAN JONES: Thank you. Good evening.

24 MR. MCQUILLAN: Good evening, Madam Chair.

25 Let me scroll over to my slides.

1           I am Dennis McQuillan. I'm the Chief  
2   Scientist with the New Mexico Environment Department.  
3   And I had been heavily involved in this for several  
4   years and then took a sabbatical to work on a little  
5   mishap that happened up in Colorado with the mine  
6   that polluted water in New Mexico, and I'm back on  
7   the project as the lead as of the first week of  
8   January of this year. And we're really pleased to be  
9   invited here tonight to explain to you the progress  
10   and our vision for 2018 as per our strategic plan,  
11   which has been issued as a draft for public comment.  
12   Comments are due on April 6th.

13           So I don't know if the slide -- it kind of  
14   disappeared there, for the audience. But the cover  
15   picture, for those of you who have been on our field  
16   trips, shows the geologic formation that comprises  
17   the aquifer below the Air Force Base. It's a coarse  
18   sand and gravel and this is exposed in the lower  
19   Tijeras Arroyo. We'd be glad to conduct another  
20   field trip if anybody would like to see that.

21           Can you get that to work? The second slide  
22   is the outline of our --

23           CHAIRWOMAN JONES: Why don't you give us  
24   just a second, see if we can get this working.

25           MR. MCQUILLAN: Sure, sure.

1                   CHAIRWOMAN JONES: Thank you.

2                   MR. MCQUILLAN: So this slide summarizes our  
3                   strategic plan for 2018. This is not a regulatory  
4                   document. We have all the regulatory documents  
5                   posted on our web site with all the engineering  
6                   diagrams and requirements and the data. This is our  
7                   vision, NMED's vision, for what we want to accomplish  
8                   in 2018. The goal is the same.

9                   This is the fourth strategic plan that we  
10                  have put out. I've got the first three for 2015, '16  
11                  and '17 here, and we have a few extra copies if  
12                  anybody would like to see it. There has been no  
13                  substantial change in our strategy. We've  
14                  restructured some things, but the goal is the same,  
15                  to protect the aquifer and to protect the drinking  
16                  water supply wells, that is our primary goal.

17                  The first strategy is the same, to continue  
18                  implement robust monitoring and wellhead protection  
19                  of the drinking water wells that are in the area of  
20                  the fuel spill.

21                  Strategy number two had not been in the  
22                  previous strategic plans, not as a strategy. But  
23                  it's the same thing that has been mentioned in these  
24                  strategic plans from the previous three years. We  
25                  want to look at what the bacteria in the soil and

1 groundwater are doing and look for opportunities for  
2 engineered solutions to enhance the natural  
3 attenuation of the biodegradation that they've done.

4           These are the strategic plans for 2015, '16  
5 and '17. I put blue tabs on these plans where we  
6 made reference to the natural degradation in our  
7 efforts to wish to enhance what the bacteria are  
8 doing. Basically, to enable them to do a better job  
9 of biodegrading the pollution. Natural attenuation  
10 existed decades before the plume was discovered in  
11 1999 and it's an industry standard to monitor what  
12 they're doing, and then to look for opportunities for  
13 intervention with engineering technology to allow the  
14 bacteria to do a better job of that. And if anybody  
15 would like to see these, I have all the tabbed  
16 references. So we've pulled out this strategy on  
17 enabling the bacteria to do a better job from these  
18 other plans and elevated it to be a new strategy in  
19 the 2018 plan.

20           That leads into strategy number three, which  
21 is to continue to deploy multiple engineering  
22 solutions, technologies, simultaneously and  
23 sequentially. And I'll show you the history of what  
24 we've done as interim corrective measures to clean up  
25 the soil and the groundwater and we've made

1 substantial progress, as I'll show you in just a  
2 minute, on the interim measures and cleaning up the  
3 soil, in particular in the LNAPL, the light  
4 non-aqueous phase liquid.

5 This is an abbreviated presentation for what  
6 I will be presenting tomorrow night at our public  
7 meeting, we'll have more time.

8 And the fourth strategy is the same as it's  
9 been previously, we want to meet or exceed all  
10 requirements for providing public outreach in  
11 information and involvement.

12 So I'll go through very briefly the various  
13 strategies.

14 Strategy number one is with regard to the  
15 monitoring. We have no detections of EDB in the  
16 sentinel wells or in the drinking water wells.  
17 That's a very good thing. We've established a cone  
18 of depression, which is basically a lowering of the  
19 water table in the area where the extraction wells  
20 are. We have all four extraction wells running now,  
21 as of February this year. And we've just reconvened  
22 the modeling working group to do a rigorous capture  
23 zone analysis. This is different from the cone of  
24 depression. This will be an analysis that looks at  
25 what area the plume is being captured by the



1 extraction wells. And I want to thank the Water  
2 Utility for hosting the kickoff meeting here in  
3 Albuquerque in January, and this is going to launch a  
4 process where there's going to be various models  
5 being run and peer review and look at exactly what  
6 the capture zone is for the four extraction wells  
7 that are pumping.

8 Now, as you all know the water table has  
9 been rising and we are looking at what effects that  
10 water table rise is going to have on the direction  
11 the groundwater flows and the direction the  
12 contaminants are migrating in. There are data gaps  
13 that have been created by this rising water table.  
14 Wells that had previously been screened across the  
15 water table are now flooded, and so we don't have  
16 adequate monitoring on that uppermost part of the  
17 aquifer. And Scott is going to talk to you a little  
18 bit later tonight about what the Air Force is going  
19 to do. There's going to be 18 new monitoring points  
20 put in and we're going to be looking at converting  
21 some previously dried soil vapor wells into  
22 groundwater monitoring wells.

23 CHAIRWOMAN JONES: Excuse me just a second.  
24 Will this bother you, if we ask questions, so we  
25 don't forget what we want to ask?

1 MR. MCQUILLAN: No.

2 CHAIRWOMAN JONES: Thank you, sir.

3 COUNCILOR DAVIS: Mr. McQuillan, I know  
4 we'll follow this up later, but can you just tell me  
5 a little bit. I understand that you say there's no  
6 detection of EDB in the drinking water wells or the  
7 sentinel wells, but I also know that we've talked,  
8 and you just mentioned, 85 percent of the wells we  
9 have had been drowned out. And so is it, we're not  
10 detecting because it's not there or not detecting it  
11 because we don't have the sufficient monitoring wells  
12 and capability to do that work? This sounds like a  
13 very different strategy to me than what we did  
14 earlier when we said we need to drill new wells in  
15 order to get better data.

16 MR. MCQUILLAN: Well, that's a really good  
17 question, Madam Chair. The drinking water wells are  
18 monitored on a monthly basis. And when I say there's  
19 no detections in those drinking water wells that's  
20 based on that data. The sentinel wells are actually  
21 monitoring wells that are not used for drinking, and  
22 they're located between the contamination plume in  
23 the drinking water wells. Some of those have been  
24 flooded and we need to replace them so we have really  
25 good -- now, the wells that were flooded are still

1     useful.  So instead of monitoring the water table  
2     zone, they're now monitoring a deeper zone within the  
3     aquifer.  So they're still providing some data, but  
4     we need to replace that monitoring capability across  
5     the water table because that's what the industry  
6     standard is in looking at various depths within the  
7     groundwater.

8                 Did that answer your question, sir?

9                 COUNCILOR DAVIS:  For now.  I think we'll  
10     come back to it.

11                MR. MCQUILLAN:  Sure.  So the Air Force and  
12     NMED remain committed to keeping contamination out of  
13     the drinking water wells.  That was a commitment that  
14     was made several years ago and we are steadfast in  
15     making sure that contamination does not happen.

16                The next slide shows these 18 new monitoring  
17     points.  These are the green squares.  You can see  
18     the spread that we have around the plume.  Scott is  
19     going to be talking about that a little bit later.  I  
20     won't spend a lot of time on the slides since Scott  
21     will be talking about it.

22                We're also going to be coring the area where  
23     the oil exists in the soil and the groundwater.  This  
24     is another data gap and it will be covered in the  
25     final strategic plan, but we're going to talk more

1 tomorrow night about how that oil exists in the  
2 subsurface. It exists as -- there's some parts that  
3 don't drain into wells, it's trapped in the soil by  
4 capillary forces and it provides a long-term source  
5 of dissolved phase contamination. So this is a  
6 pretty significant data gap that also will be filled  
7 in 2018.

8           So strategy two involves determining what  
9 the bacteria are doing in the way of biodegrading  
10 these contaminants in looking for ways where we can  
11 have engineering interventions to enable them to do a  
12 better job. And so we know that we have hydrocarbon  
13 oxidation in the soil and groundwater. This is a  
14 very common degradation reaction, it occurs all over  
15 the world. We're also seeing within the area where  
16 the ethylene dibromide is commingled with the  
17 petroleum, it is undergoing the process called  
18 reductive debromination. Unfortunately it only  
19 occurs in that area of commingling and then it moves  
20 out beyond that area. And we have evidence that the  
21 EDB is undergoing hydrolysis, which is a chemical  
22 reaction where the EDB interacts with the water and  
23 gets degraded. So these are processes that we've  
24 identified and we're looking particularly at the  
25 oxidation and the reductive debromination in ways

1     that we can help the bacteria do a better job.

2             The next slide gets to strategy three in  
3     deploying multiple engineering solutions to clean  
4     this up. The yellow symbols there are things that  
5     have been done already in the past and are completed  
6     or are ongoing. The removal, excavation of  
7     contaminated soil, the bioslurping which recovered  
8     approximately a quarter million gallons of oil, of  
9     LNAPL, and that was quite successful. We had 12  
10    years of soil vapor extraction where we vacuumed  
11    flumes -- of fuel out of the soil. And for  
12    two-and-three-quarter years we've had the groundwater  
13    extraction system, which is over at the distal end of  
14    the plume, closest to the Water Utility Authority  
15    drinking water wells. The red symbols are  
16    engineering solutions that will be deployed as pilot  
17    tests this year, in 2018. Enhanced in-situ anaerobic  
18    groundwater biodegradation, airlift biodegradation,  
19    bioventing, which is a logical follow-up, and I'll  
20    explain these in just a minute. But these all  
21    involve stimulating, augmenting, enhancing the  
22    bacteria activity that's going on in the site. We  
23    are not proposing to walk away from this and do  
24    nothing and just let nature take its toll -- take its  
25    course. We are looking at ways to facilitate the

1 bacteria in the natural processes that they've been  
2 working under and have them do a better job of  
3 degrading the contamination. This is a common thing  
4 that's done in this industry.

5           The next slide depicts the anaerobic  
6 biodegradation pilot test. This is a really  
7 promising project. We had laboratory tests where we  
8 took groundwater from the site and put in various  
9 amendments into them, like lactate and nutrients and  
10 actually proprietary bacteria and based this field  
11 study on the results of laboratory tests. So the Air  
12 Force -- and this is a project that's underway in  
13 generating data. We're going to be injecting  
14 amendments into the groundwater that's contaminated  
15 in seeing how the native bacteria respond to that.  
16 We have an injection well, some monitoring wells and  
17 extraction wells and we're setting up a cell where  
18 the groundwater will be treated. This will  
19 ultimately lead to the introduction of proprietary  
20 bacteria. You see on the next slide dehalococcoides,  
21 which is a naturally-occurring bacteria that has been  
22 shown to biodegrade ethylene dibromide. So this is  
23 some really cool science stuff going on here and  
24 we're all watching this very, very closely. The  
25 biostimulation was completed, now they're in the

1 monitoring of that. The augmentation with  
2 proprietary bacteria will probably commence in May or  
3 June, and then they'll be monitoring that afterwards.  
4 We're hoping that one of these or more of these  
5 technologies that are being tested at the field  
6 scale, the pilot scale, will be promising to scale up  
7 to cleaning up the plume. The much larger plume.

8 Bioventing is very simple. We know that the  
9 bacteria need oxygen to biodegrade the fuel  
10 contamination. We had 12 years of vacuuming. Now  
11 we're going to very gently blow oxygen and moisture  
12 into the soil to enable the soil bacteria to continue  
13 biodegrading the fuel and hopefully do it faster.  
14 The 12 years of vacuum extraction dehydrated the  
15 bacteria, they need some moisture and we know they  
16 need oxygen and this is a logical follow-up to the 12  
17 years of vacuum extraction.

18 Strategy four describes -- and I think  
19 you've seen versions of this in previous years, the  
20 schedule for public outreach. The Air Force and NMED  
21 welcome any opportunities, invitations from anybody  
22 basically to come out and present what we're doing.  
23 And here's the timeline. This goes all the way back  
24 to day one when the plume was discovered.

25 I wanted to point out what's called the RCRA

1 Facility Investigation, that goes all the way into  
2 2019. And this hasn't been made widely public yet,  
3 but we're going to have a Phase I that concludes with  
4 all the data through December of 2015, and then a  
5 Phase II that will include all the work that's being  
6 done from this point forward in the last year -- two  
7 years, as a Phase II RFI, or RCRA Facility  
8 Investigation Report. So the investigation is not  
9 over. Unfortunately we had the rising water table  
10 created data gaps, it's going to delay us a little  
11 bit in getting to the next step, which is the  
12 Corrective Measures Evaluation, which will require a  
13 public hearing and that process will begin the  
14 selection of the final remedy for the site.

15 But in the meantime, you can see the interim  
16 corrective actions that are underway for 2018. These  
17 engineered solutions are being put in place. The  
18 monitoring is ongoing and our commitment to protect  
19 the drinking water wells of the VA, the Air Force  
20 Base, the VA Hospital, the Air Force Base and Water  
21 Utility remain steadfast.

22 Thank you.

23 CHAIRWOMAN JONES: Thank you, sir.

24 Commissioner Hart Stebbins, you have some questions?

25 COMMISSIONER HART STEBBINS: I do have some



1 questions, yes. Thank you, Madam Chair.

2 Thank you, Dennis, for being here. Really  
3 appreciate your presentation tonight. I have a  
4 question. You know, clearly there's a change in the  
5 focus on natural attenuation. I mean, I almost feel  
6 like we're back to 2009 where CH2M Hill was  
7 recommending that as the only strategy. So I'm  
8 curious, what evidence is bringing you back to that  
9 as a solution?

10 MR. MCQUILLAN: I'm really glad, Madam Chair  
11 and Commissioner Stebbins, you asked that question.  
12 We're not proposing natural attenuation as a  
13 corrective action at this point. We've been  
14 monitoring natural attenuation for many, many years,  
15 almost two decades, because this is an industry  
16 standard. We want to know what the bacteria are  
17 doing to the plume. And we have many, many years of  
18 data and I'll present some of that tomorrow night, on  
19 the degradation products, the reactions that are  
20 occurring. And this is going to spin us, hopefully  
21 springboard us into selecting options for enhanced  
22 bioremediation, which is an active engineered remedy  
23 that involves taking greater advantage of what the  
24 bacteria do naturally. So neither the Air Force nor  
25 the Environment Department are proposing monitored

1 natural attenuation as a remedy. We monitor this as  
2 a matter of routine practice. It's an industry  
3 standard. And we've been doing this for a long time,  
4 so there really is no shift in our strategy or our  
5 policy on that.

6 COMMISSIONER HART STEBBINS: So this is a  
7 step in the characterization?

8 MR. MCQUILLAN: Yes, ma'am. It's been --  
9 we've been monitoring the natural attenuation for a  
10 long time looking at the bicarbonate degeneration of  
11 iron that's released from the soil, depletion of  
12 oxygen and nitrate as the bacteria consume these.  
13 Looking at the byproducts and looking at the carbon  
14 isotopes as well as they get fractionated by these  
15 processes. So we've been monitoring these natural  
16 attenuation parameters for a long time.

17 COMMISSIONER HART STEBBINS: But not as a  
18 remedy, but as informing what the final remedy will  
19 be.

20 MR. MCQUILLAN: Yes.

21 COMMISSIONER HART STEBBINS: Okay.

22 MR. MCQUILLAN: Thank you.

23 COMMISSIONER HART STEBBINS: Because on one  
24 of your slides you show EDB hydrolysis?

25 MR. MCQUILLAN: Yes.

1           COMMISSIONER HART STEBBINS: Can you talk  
2 about that a little bit more.

3           MR. MCQUILLAN: Yes. This is not a  
4 biological process, unlike the hydrocarbon oxidation  
5 and the reductive debromination. This is a process  
6 where the EDB reacts with the water itself, or the  
7 hydroxyl ions and the OH and so on, and is actually  
8 degraded under a chemical process, not a biological  
9 process.

10           There was a paper that one of our team  
11 members presented at the Patel, it's an international  
12 conference, a couple of years ago. And I believe he  
13 has a journal article on this as well. One of the  
14 comments we had from Dr. John Wilson, who's written  
15 all these guide books and is the godfather of a lot  
16 of this, is that he thought that Murphy's Law  
17 sometimes works in our favor. That if anything  
18 escaped the pump and treat system, we have half a  
19 mile between the plume and your drinking water wells  
20 where hydrolysis is active. So it's another level of  
21 -- it's certainly not as aggressive as an engineered  
22 solution, but it's happening and we want to monitor  
23 that and see just how much EDB is degrading. All  
24 these processes have been going on for decades, even  
25 before we discovered it. And we want to know the

1 magnitude, the rates. There's a lot of work to be  
2 done on that. In particular, we want to know how we  
3 can speed these reactions up, if that's possible.

4 COMMISSIONER HART STEBBINS: So that, again,  
5 is not being considered as a final remedy or part of  
6 the remediation, it's just a way of measuring what's  
7 already taking place?

8 MR. MCQUILLAN: At this time, right. We  
9 can't really talk about the final remedy because we  
10 have to have a very robust public hearing after the  
11 CME, the Corrective Measures Evaluation.

12 COMMISSIONER HART STEBBINS: I guess my  
13 question is, how long has it been since EDB was  
14 present in jet fuel? It's been 35, 40 years?

15 MR. MCQUILLAN: Madam Chair, Commissioner,  
16 1975 is when it was discontinued.

17 COMMISSIONER HART STEBBINS: So if that  
18 process were having a significant impact we wouldn't  
19 see the levels of EDB in our groundwater.

20 MR. MCQUILLAN: It's clearly not destroying  
21 the whole plume, but we have evidence that it's  
22 destroying part of it and we want to know exactly how  
23 much -- what those reaction rates are and figure this  
24 into the whole conceptual site model and ultimately  
25 into the final remedy, which will involve hopefully a

1 lot of bioremediation. You know, these processes  
2 that occur naturally with no human intervention, we  
3 want to speed those up. The groundwater pump and  
4 treat is something that doesn't involve  
5 bioremediation, that's just a physical removal. And  
6 we've recovered more than 350 million gallons of  
7 groundwater, purified it to less than detectable  
8 levels and used it either for the golf course or  
9 injected it, and that's a lot of water that we've  
10 protected.

11 COMMISSIONER HART STEBBINS: So the enhanced  
12 attenuation, has that been tested outside the lab?  
13 Has that been tested in the field?

14 MR. MCQUILLAN: It has, and the -- it hasn't  
15 been tested at this depth in the challenging  
16 conditions we have here. The airlift is a technology  
17 that guidance documents have been written on. We  
18 actually have some of the people who wrote those  
19 guidance documents working on the team. The Air  
20 Force has brought in some of the intellectual  
21 firepower. Bioventing is well established. You  
22 know, we give those bacteria oxygen in the soil, then  
23 we know exactly what to do. Now, the enhanced  
24 bioremediation is some cutting-edge stuff and this is  
25 a perfect site to do this on. The Air Force got some

1 research money from some other budget to do this, so  
2 we have two of the foremost microbiologists in the  
3 world working on this. And we're going to prepare a  
4 more detailed discussion of this tomorrow night. And  
5 I can tell you, of course I'm a geek scientist, but  
6 this stuff is really cool. If this dehalococcoides  
7 bacteria, which does not exist at the site -- we have  
8 other bacteria that we know dehalogenate compounds,  
9 but this one right here has an appetite, if you will,  
10 for ethylene dibromide, and that will be injected  
11 into the groundwater in about May or June. So stay  
12 tuned, we have some really exciting science going on  
13 here.

14 COMMISSIONER HART STEBBINS: That's great.  
15 Certainly optimistic that that will contribute to the  
16 solution here. Let me ask you a question. Under  
17 strategy one you refer to zone capture analysis and  
18 I'm not quite sure how that relates to the plume  
19 capture model that has been referenced in the Notice  
20 of Deficiency. But tell me what the process is, as  
21 you see this going forward, for doing a more complete  
22 analysis of the capture zone from the pump and treat  
23 system.

24 MR. MCQUILLAN: Sure. And again, thanks for  
25 that question. The Air Force has been submitting

1 capture zone analyses in their quarterly reports, but  
2 we don't believe they're robust enough. They provide  
3 some level of information. But the EPA, the federal  
4 EPA, has put out a guidance document with a six-step  
5 process on how to do this correctly. And we just  
6 reconvened the model working group. And again,  
7 thanks to the Water Utility for hosting that meeting  
8 at their office here. And so we're going to have  
9 some really high caliber models -- modelers working  
10 on this. I know John Sigda, Dr. Sigda with INTERA,  
11 is going to be working for the Water Utility. The  
12 gentleman who's with EPA will be working on that.  
13 And the USGS, US Geological Survey, is involved.  
14 And, of course, the Air Force contractors. So there  
15 may be multiple models, which is a good thing. We've  
16 presented -- you know, we had John present at one of  
17 our public meetings. We've had some of the modeler  
18 results. So having different modeling codes used is  
19 a good thing, and see if they come up with the same  
20 results. We're going to try and use the same  
21 assumptions for the hydraulic properties and  
22 eliminate that as a variable and use the same --  
23 we're going to use the drinking water standard as the  
24 -- and to map these things. So to the extent we can  
25 be consistent and compare apples to apples, we're

1 going to do that.

2 So the next meeting is on April 12th, and  
3 the modelers are all going to get together and -- the  
4 top priority for this modeling group is to produce  
5 models that rigorously conform to the EPA guidelines  
6 and using the data from the site, the four extraction  
7 wells, which are pumping water level data and make  
8 predictions on plume capture. And analysis of how  
9 much we're capturing.

10 COMMISSIONER HART STEBBINS: Well, thank you  
11 for that, because that clearly has been a concern for  
12 me and I think others at the Water Authority, the  
13 difference between the Notice of Deficiency letter on  
14 November 16th that was quite detailed about your  
15 expectation for the plume capture model. That then  
16 in the March -- the recent March 6th letter seemed to  
17 sort of back off. I mean, I'm wondering what your  
18 thought process or what the Environment Department's  
19 process was moving from that November 16th position  
20 to March 6th.

21 MR. MCQUILLAN: Well, the Air Force is  
22 committed to producing preliminary modeling results  
23 by March 31st, and they will carry those results into  
24 the April 12th meeting. We don't want to see a final  
25 report from the Air Force until the modeling group



1 gets a little further along. It's just, we want  
2 substantial peer review on this. We want the  
3 modelers to talk to each other and share input  
4 parameters and do calibration with water level data.  
5 We also just got the fourth extraction well up and  
6 running in February, and so we need to see how the  
7 system responds to that. We can measure the cone of  
8 depression. That, as you all know, is different from  
9 the capture zone. So we're going to push that back a  
10 little bit, because we want a really high quality  
11 peer-reviewed product coming from the working group,  
12 not just from the Air Force.

13 COMMISSIONER HART STEBBINS: So that will  
14 include input from the Water Authority, the City of  
15 Albuquerque, NMED, Air Force?

16 MR. MCQUILLAN: Yes.

17 COMMISSIONER HART STEBBINS: The  
18 stakeholders in this group. Let me ask you about the  
19 wells, because this relates to the capture model, the  
20 plume capture model. I know that INTERA's model has  
21 assumed that those wells are functioning 24/7, but I  
22 saw a document recently that said that they're really  
23 operating only about 50 percent of the time. How  
24 does that affect the plume capture model that was in  
25 the RFI that INTERA has produced?

1           MR. MCQUILLAN: Well, the new model effort  
2 will take that into account, and not just how often  
3 they pump it, how many gallons per minute. The well  
4 that was just put on line, Extraction Well 239, is  
5 pumping about 75 gallons a minute while the others  
6 are pumping approximately 150 and it's because it's  
7 closer to the source and we don't want to pull things  
8 in too fast. The treatment system can handle  
9 petroleum hydrocarbons up to a certain point. And we  
10 have established in our permits influent limits. The  
11 influent cannot exceed 450 benzene, or something has  
12 to be done. So the system is really well engineered.  
13 It can handle some amount of petroleum, as well as  
14 the ethylene dibromide. The effluent limits are the  
15 drinking water standards so they're more stringent  
16 than stake groundwater standards and drinking water  
17 standards. We monitor upstream from the carbon unit,  
18 between the two units and the effluent and there's  
19 two streams that are operating parallel. So we have  
20 really good monitoring on that and safeguards. If we  
21 start seeing the contamination rise, that will be  
22 closely monitored. There may be wellhead samples  
23 taken at 239. But these wells were selected with a  
24 lot of peer review in the Water Utility, the City  
25 Health Department, the State, the Air Force, USGS.

1 And we put our best effort forward to put these pins  
2 on the map. And there's a lot of modeling support  
3 that went into that and we're very grateful of the  
4 participation by the Water Utility in that modeling  
5 effort and the collaboration in coming up with this  
6 interim measure that so far as purified 350 million  
7 gallons of groundwater. I think we all should be  
8 high-fiving each other right now on this.

9 COMMISSIONER HART STEBBINS: That is  
10 certainly something to celebrate. And I'm sorry, I  
11 don't want to take up all of your time. But just on  
12 that fourth well, so it is closer to the source area.  
13 So if it begins to draw in a significant amount of  
14 detects, then what happens? I mean, is it permitted  
15 for remediating those chemicals?

16 MR. MCQUILLAN: They can't exceed 500  
17 micrograms per liter of benzene, because that will  
18 make the Air Force a hazardous waste generator, so  
19 that's never -- we've established a limit of 450 as a  
20 safety factor for going into the treatment plant.  
21 Now, if we start -- and we probably will eventually  
22 see levels of EDB creep up, we'll probably see some  
23 B-tex come in. If the levels start approaching that  
24 they'll start pumping the well a few hours per day.

25 These are great questions, and the modeler

1 is going to be looking at the extraction wells and  
2 how many hours a day they pump, how many gallons per  
3 minute they pump. They're going to be looking at the  
4 production wells, how much they produce. You know,  
5 the complicating factor is because of the exemplary  
6 water conservation practices by your customers in the  
7 use of river water, that the water table has been  
8 rising and the cone of depression up by the  
9 Ridgecrest oil field has been filling in. This is  
10 fantastic for the sustainability of your aquifer, but  
11 it creates complications in data gaps for us. And we  
12 know how to fill data gaps and we have some of the  
13 top scientists around working on this.

14 COMMISSIONER HART STEBBINS: Great. And one  
15 last question. I know Councilor Davis is waiting.  
16 In the Notice of Deficiencies there was a reference  
17 to the coring plan. Can you give us an update where  
18 you are with that?

19 MR. MCQUILLAN: Yes. The coring plan was  
20 given conditional approval late February, early  
21 March. They'll be mobilizing the drill rig some time  
22 later this year. And we hope to gain a lot more  
23 information about where that LNAPL is, because I  
24 think, as you guys know, you're a pretty educated  
25 board, you can have LNAPL in the soil which does not

1 flow into a well and that's trapped there by  
2 capillary forces. Like if you have a cup of coffee  
3 and you stick an handkerchief in there, that coffee  
4 gets sucked up into the napkin, into the  
5 handkerchief. But in the cloth. That's capillary  
6 forces. So the problem with that residual LNAPL is  
7 it provides a long-term source of dissolved phase  
8 contamination and that's one of the more prominent  
9 data gaps. So the Air Force complied with that  
10 requirement in the NOD. And that approval letter is  
11 going out -- the Water Utility detective people were  
12 copied on that letter. It's posted on the haz waste  
13 web site. Some of those coreholes would be completed  
14 as groundwater wells to fill data gaps.

15 COMMISSIONER HART STEBBINS: So in about  
16 2016, I think the technical working group came to  
17 consensus about what that coring plan would look  
18 like. Is the specifics of that recommendation, are  
19 those included in the bid package that has gone out  
20 to execute this?

21 MR. MCQUILLAN: Madam Chair, Commissioner,  
22 we had to impose some conditions on that. I don't  
23 have the letter in front of me, but we imposed  
24 conditions on that approval letter, particularly in  
25 the background in doing mineralogical work and I

1 think it reflects the best plan forward. On coring  
2 in that zone where we expect residual LNAPL, we're  
3 going to begin the coring ten feet above where the  
4 water was at in 1970, and go down below where it's at  
5 today.

6 COMMISSIONER HART STEBBINS: So from the  
7 NMED position your expectation is that the Air Force  
8 when it gets a contractor to do this that the  
9 contractor be will asked to meet the standards agreed  
10 to in 2016 by the technical working group?

11 MR. MCQUILLAN: I believe so. I mean, let  
12 me -- I don't have those recommendations in front of  
13 me, but we went back and forth on this. But the  
14 other thing to keep in mind is that these are all  
15 data-given. They take more than one drilling program  
16 to fill the data gaps on the LNAPL and it may take  
17 more than one drilling campaign to fill the data gaps  
18 in the rising water table. We always have that  
19 option. We do some work, get the data and see if it  
20 satisfies our needs and we can inquire more on that.

21 COMMISSIONER HART STEBBINS: And a deadline  
22 for that, for the coring work to be done?

23 MR. MCQUILLAN: Maybe the Air Force can talk  
24 more about that.

25 COMMISSIONER HART STEBBINS: I can ask. I

1 know they'll be coming up. Again, I've taken up  
2 enough time. May I submit additional questions in  
3 writing?

4 MR. MCQUILLAN: Sure.

5 COMMISSIONER HART STEBBINS: Thank you.  
6 Thank you, Madam Chair.

7 CHAIRWOMAN JONES: Thank you, Commissioner  
8 Hart Stebbins. Councilor Davis, do you have some  
9 questions?

10 COUNCILOR DAVIS: Very briefly.  
11 Mr. McQuillan, thank you so much for being here, and  
12 I do appreciate that. I do not have the technical  
13 expertise that Commissioner Hart Stebbins does, but I  
14 wanted to follow up on a couple of sort of big  
15 picture pieces here and be sure that we can go back  
16 and explain to the public, and that I think you-all  
17 are prepared to explain to the public, sort of these,  
18 because I think this is a pretty dramatic shift in  
19 our strategy at least, in the way the proposed plan  
20 would allow for redefining sort of what we're looking  
21 for here.

22 It appears concerning on its face that  
23 there's nothing in the new plan that directly  
24 addresses a continuing active remediation and it  
25 seems very much like the big picture starts to be,

1 and I hear this, that we're moving more towards the  
2 passive natural attenuation and monitoring and  
3 enhancing those pieces, which have been working. And  
4 I think there's early data to suggest, and I support  
5 expanding the data and if we get good science out of  
6 it, that works. But are we continuing to do pump and  
7 treat on the actual source? And what other -- let's  
8 start there to be clear. Are we continuing to do  
9 pump and treat while the Air Force is examining and  
10 the committee is looking at new science?

11 MR. MCQUILLAN: Absolutely. That will be  
12 going on for many years. And I don't think that is  
13 -- and maybe because we've abbreviated this plan.  
14 We're not moving towards passive remediation.  
15 Neither the Air Force or NMED are proposing monitored  
16 natural attenuation as a corrective measure.

17 Strategy three, you can see there's all  
18 types of engineered remediation solutions that have  
19 been done, that are ongoing, and they're going to be  
20 pilot tested this year. So we're very aggressively  
21 pursuing active remediation with engineered  
22 solutions. Those three options in red will be  
23 implemented this year and hopefully one or all three  
24 of them will be promising enough that we can develop  
25 it at a more elaborate scale.



1                   COUNCILOR DAVIS: And I think I want to go  
2 back -- I do want to go back to Commissioner Hart  
3 Stebbins' question, because I think it's important to  
4 hit at. I think these strategies, and obviously some  
5 of the vapor extraction, as you mentioned, sort of  
6 starves some of the bacteria. These new strategies  
7 that you've been looking at have been enhancing the  
8 oxygen and allowing them to do that faster. But the  
9 levels that we continue to see or that we originally  
10 found are from, quite frankly, from Air Force jet  
11 fuel older than me. So the natural strategies  
12 haven't been working and it would take, it seems  
13 based on the data we see so far, a pretty  
14 sophisticated and big change in our strategy overall  
15 to address the extent and concerns, especially with  
16 the LNAPL. Is NMED confident that this multiple  
17 strategy, more natural strategies, will combine to  
18 give us a result and an answer more quickly than the  
19 strategies we're using now?

20                  MR. MCQUILLAN: Well, Madam Chair,  
21 Commissioner, that's a great question. You know, our  
22 strategy has been to go out and do these tests at a  
23 small scale and see if it works. Some work better  
24 than others. And we hope that we do enough of this  
25 that by the time we get to the Corrective Measures

1 Evaluation we'll have enough options on the table  
2 that we can put together a final remedy. And we want  
3 to take full advantage of these natural processes,  
4 that's an industry standard. Bioremediation is a  
5 very hot subject right now because it can work under  
6 the right conditions. And we have corrective  
7 actions, like you mentioned, the pump and treat,  
8 that's going to be going on for many years. That's  
9 not a biological process. That's a physical. But  
10 it's getting the most dangerous part of the EDB, the  
11 EDB that's closest to your wells. And the community  
12 demanded that of us and the Air Force, and we did it.

13 Now, in looking at the source area where the  
14 highest concentrations are and most of the mass, and  
15 so we're attacking this plume with different  
16 technologies at different locations simultaneously  
17 and sequentially and hopefully all this information  
18 is going to inform the process, what the final remedy  
19 is going to be.

20 COUNCILOR DAVIS: And I appreciate that very  
21 much, Mr. McQuillan. I think that's right, we do  
22 ultimately want to get to that place and I know the  
23 timeline -- you know, I think the timeline shouldn't  
24 guide our work here. Obviously it's an important  
25 checkpoint, but being sure we get it right. I think

1 the Notice of Deficiency also, in using NMED's words  
2 from their March 6th letter, correctly noted that the  
3 Notice of Deficiency expressed concern that the  
4 permittee's evaluation of contaminant concentration  
5 likely overstated the amount of contaminant  
6 degradation. And it appears to me that both the Air  
7 Force and NMED agree that they now agree on that  
8 point. But there are some other places in earlier  
9 data that some of the data, it appears the parties  
10 had agreed, was perhaps insufficient and that some of  
11 that may be guiding this new analysis.

12 For example, as you noted, hydrolysis is  
13 occurring there, but the RCRA Facility Investigation  
14 Report -- and I'm just going to reference some of the  
15 notes in this, 'included an analysis of' -- 'isotope  
16 analysis from 2013 data that NMED and the Air Force  
17 later agreed had quality issues and wasn't usable  
18 data.' And so, can we -- does NMED have a different  
19 data set by which we can measure progress now or are  
20 we essentially starting over again on data? Do we  
21 have the adequate number -- right data to determine  
22 whether these new processes are helping, hindering or  
23 just keeping us in status quo?

24 MR. MCQUILLAN: Yes. And again, I'm glad  
25 you asked that question. Both the 2013 isotope data

1 and the slug test data were determined by NMED to be  
2 unreliable. Now we've included that -- we reference  
3 these for the sake of transparency. We don't want to  
4 be accused of hiding something because it wasn't done  
5 right. It's just part of the administrative record.  
6 And it's unfortunate that these tests were not done  
7 properly.

8           With regard to the isotope data, there was a  
9 new set of data that was done in 2015 and this is the  
10 data set that Dr. Vangross is using to draw the  
11 conclusions about the hydrolysis that's referenced in  
12 his paper. The slug tests were being replaced by  
13 other tests. And for the sake of transparency we're  
14 going to acknowledge that these data exist, but we  
15 have not changed our position at NMED that these data  
16 were unreliable to begin with.

17           COUNCILOR DAVIS: Thank you, Mr. McQuillan.  
18 Madam Chair, one final question to follow up. You're  
19 here and your NMED's chief scientist, I think that  
20 says a lot about your credentials and you've shown  
21 that tonight with us and through this work. But this  
22 project, my understanding, has been moved out of the  
23 old hazardous waste bureau to the secretary's office  
24 to be managed there. Is that correct?

25           MR. MCQUILLAN: That's a really interesting

1 question. We have -- the haz waste bureau -- the  
2 permit has been issued by the haz waste bureau. The  
3 groundwater bureau has issued the groundwater permit  
4 for the injection well and I am working closely with  
5 the groundwater bureau and haz waste bureau and the  
6 office of secretary to coordinate all this. So we  
7 have multiple jurisdictions within the Environment  
8 Department on that.

9 COUNCILOR DAVIS: I just want to be certain  
10 that the original, sort of technical experts, the  
11 scientists, in particular in hazardous waste bureau,  
12 that were doing this analysis and work with our staff  
13 and with the Air Force along the way, do they still  
14 have daily access to the data and the plan and the  
15 planning meetings in developing this or is this a  
16 project that's now led sort of in your office without  
17 their daily sort of interaction that they used to  
18 have?

19 MR. MCQUILLAN: We have a technical team  
20 that consists of myself, a technical person with the  
21 haz waste bureau, a technical person with the  
22 groundwater bureau, and a technical person with the  
23 drinking water bureau, and a technical person with  
24 the petroleum storage bureau because they deal with  
25 these contaminants on a day-to-day to basis. So

1 Secretary Tongate has assembled this  
2 interdisciplinary team of mostly senior people and we  
3 call them the drinking water people. When we need to  
4 we're going to be revisiting the Source Water  
5 Protection Plan for the VA Hospital, getting the dust  
6 off that and updating that and making sure they're  
7 all confident that that well that serves the hospital  
8 would be protected.

9           So in the data out there there's just reams  
10 of data that's posted on our web site. If you want  
11 to get information overload just go to the haz waste  
12 web site and you can access all the reports and the  
13 maps and the data tables and work plans and approval  
14 letters.

15           COUNCILOR DAVIS: Thank you, Mr. McQuillan.  
16 And just to characterize, I think the concern is --  
17 and I appreciate that. I think the concern, and I  
18 want to pass it off to my colleague if it's okay with  
19 the Chair, but the concern I think is that the new  
20 plan seems -- as you said, it's more simplified. And  
21 I think the concern is, we were doing really well in  
22 2016/'17 and by adding some opportunities to look at  
23 new science, that seems great. But it seems more  
24 that that should be an expanded plan, not a more  
25 simplified one. And I think the concern from the

1 community will be, that we just got on the right  
2 track.

3           How do we ensure that the new plan continues  
4 to require all the things that we had finally gotten  
5 to that were showing progress and working and still  
6 allows us for the external extra data and analysis  
7 and new science that might one day get better. I  
8 think it's concerning that it appears that we're  
9 pulling back from the progress we made in order to  
10 allow for new things instead of expanding and being  
11 sure that we're continuing on the good path while  
12 we're looking for new options to maybe speed that up.  
13 How do we address that concern, that this might be  
14 too oversimplified?

15           MR. MCQUILLAN: Well, the -- and this is one  
16 thing we're hoping to get, and I'm sure we will get  
17 comments from the public on it. You know, the 2015  
18 plan was 24 pages long. 2016 was 30 pages long.  
19 2017 was 40 pages long. I heard comments that this  
20 is a little intimidating. It's not a quick read.  
21 But what has not changed, sir, Madam Chair, is all  
22 the data, all the work plans, the engineering  
23 specifications, the laboratory data, the drinking  
24 water data, all that is still out there. It's just  
25 that we've put together a more abbreviated summary of

1     that in the form of a PowerPoint. But is a quick  
2     read. And I know my colleague Dave McCoy likes the  
3     40-page report. I've heard comments that this is a  
4     little too intimidating. But for people that want to  
5     get geeked out on the science, go to the haz waste  
6     bureau web site, you can download tons and tons of  
7     data and be in partial differential heaven.

8             COUNCILOR DAVIS: Mr. McQuillan, each of  
9     these have had a PowerPoint. I think the plan should  
10    get -- the data in the plan should get bigger as we  
11    get along because we should be developing  
12    information, I think, yes. But at the same time we  
13    say we have more data and we're simplifying it, we  
14    also hear that, well, the data we had, some of it  
15    wasn't very good, it had big gaps in it and we're  
16    looking for opportunities to find better data. It  
17    seems to me that the plan would be more robust in  
18    order to fill those gaps more quickly to give us  
19    quicker data than for us to simplify the plan only  
20    under the things and say, well, the data is there,  
21    but it's -- as we just heard, some was unreliable two  
22    years later and others -- it just is concerning, I  
23    think, that we get to this place where we were making  
24    extensive progress, and I acknowledge and appreciate  
25    the advances in where we might get to. But on its



1 fact it appears that NMED is allowing the Air Force  
2 to take credit and claim that they have made more  
3 progress than made and we have data to support, while  
4 allowing a shift in strategy that would be more  
5 consistent with more progress than we are able to  
6 demonstrate, that's the real concern. And how we  
7 might get back to a place where we continue the work  
8 that's being done and the data that we have and fill  
9 in the gaps from there instead of just prioritizing  
10 new science, I think is the real question about  
11 whether this is the right strategy or whether this is  
12 perhaps an enhancement to an already existing  
13 well-funded or well-executed strategy.

14 Thank you, Madam Chair.

15 CHAIRWOMAN JONES: Thank you. I believe CAO  
16 Nair has a question.

17 MS. NAIR: Thank you, Madam Chair. Thank  
18 you, Mr. McQuillan. I really appreciate the agility  
19 that both my colleagues and you show in navigating  
20 this technical detail. But just in case there's  
21 anyone who sort of may have lost the thread somewhere  
22 around here, can you give us just a few plain  
23 language statements about the next things that are  
24 going to happen and when the public might expect to  
25 have things to review and opportunities to

1 participate.

2 MR. MCQUILLAN: Thank you for that question.  
3 We're having a public meeting tomorrow night at the  
4 African American Performing Arts Center. We're going  
5 to get a little more into the weeds on some of these  
6 fabulous issues that you've raised. And we're going  
7 to talk about how LNAPL, the oil exists in the  
8 subsurface. We're going to have other presenters  
9 talking about the engineered pilot tests that are  
10 going to be put in place this year, like the  
11 institute bioremediation. And there's also going to  
12 be a field trip, an open house on -- I'm stealing  
13 your thunder.

14 MS. LYNNE: We might delay it because of  
15 the budget. So we're looking at probably having it  
16 in April because we're not sure if we're going to  
17 have a Congressional budget on Saturday. We might  
18 have a shutdown. We don't want people showing up and  
19 we can't let them in. So we're going to schedule it  
20 as soon as we can in April.

21 MR. MCQUILLAN: So either Saturday, or it  
22 sounds like April. You guys should really go see  
23 this treatment system. Even if you saw it two years  
24 ago, it's like doubled in size. This is the most  
25 sophisticated groundwater treatment system in the

1 State of New Mexico and it's well worth seeing. The  
2 commitment the Air Force has made. You know, there  
3 are no detectable contaminants coming out of that  
4 treatment unit. And it's just fabulously engineered.  
5 It's working great. And I want to give you my  
6 personal assurance that even though we've come up  
7 with this more simplified summary of all the plans,  
8 the regulatory work plans are not being simplified.  
9 We are deep in the weeds on that. And we go back and  
10 forth and we hold the Air Force's feet to the fire.  
11 And scientists and engineers don't always agree. And  
12 regulators and regulated entities don't always agree,  
13 but we try to find the middle ground and move the  
14 project forward.

15 CHAIRWOMAN JONES: Thank you. Commissioner  
16 Hart Stebbins, you have another question.

17 COMMISSIONER HART STEBBINS: Thank you,  
18 Madam Chair. Dennis, at our last meeting there was a  
19 lot of discussion -- when you were here last in 2017,  
20 in November, there was a lot of talk about a  
21 consensus among all the stakeholders about issues  
22 that needed to be addressed in the RFI, and there was  
23 a response that a lot of that will be taken up in the  
24 addendum. But it seems to me there used to be  
25 something on your timeline about the addendum and I

1 don't see that anymore. What is the time frame or  
2 what do you expect in terms of delivery?

3 MR. MCQUILLAN: Thank you for that question.  
4 The RFI is going to be resubmitted to the Environment  
5 Department as a Phase I RFI, and that will cover all  
6 the data in the moratoria investigation through the  
7 end of December of 2015. We will act upon that. And  
8 I have been meeting NMED -- the team at NMED has been  
9 looking at the issues. Again, we have some  
10 differences of opinion and agreements. We're going  
11 to acknowledge some of the data sets that are no good  
12 and not consider them in the analysis. But there's a  
13 lot of good data. The Phase II RFI will be submitted  
14 after the additional work is done to do the LNAPL  
15 coring, fill in the data gaps, the modeling, the  
16 plume capture analysis.

17 As you can see on this figure, we've  
18 projected the Phase II RFI, and we're going to break  
19 this up into Phase I and Phase II for future  
20 reference. That will probably take us through late  
21 2019 in order to get all that data. It's  
22 unfortunate, but because of the rising water table  
23 and the data gaps have to be filled, the Phase II RFI  
24 will probably be coming around in late -- the fall or  
25 the winter of 2019. At that point after that's

1 approved they can proceed to the Corrective Measures  
2 Evaluation, which would trigger a very robust public  
3 involvement process and ultimately the selection of  
4 the final remedy.

5 COMMISSIONER HART STEBBINS: Great. Final  
6 question, I promise. Risk assessment. So I know  
7 that was discussed quite a bit last year. I  
8 understand it was submitted to the State in July of  
9 2017. I have also heard that the Department of  
10 Health determined that it was flawed and it is now  
11 with NMED. Can you tell me what is happening at the  
12 State with that.

13 MR. MCQUILLAN: Madam Chair, Commissioner,  
14 that's on my list of things to do. I inherited a big  
15 stack of work plans and other things that were  
16 hanging in fire when I took over in January. I have  
17 not reviewed that risk assessment yet, but it's on  
18 my -- having gone through the expansion, the data gap  
19 wells and the LNAPL coring and settling this issue,  
20 what we're going to do with this RFI, breaking it  
21 into Phase I and Phase II, and we're going to try and  
22 settle our differences so we can come in, hopefully  
23 preapproved on Phase I, and we're still going back  
24 and forth on that. I will get to -- the other people  
25 have looked at it, I just haven't looked at it. Had

1 time yet. And I will give you my personal assurance  
2 to do it as fast as we can. But have a solid review  
3 on that.

4 COMMISSIONER HART STEBBINS: What does the  
5 Department of Health's review, what impact does it  
6 have on the Environment Department's review?

7 MR. MCQUILLAN: Madam Chair, Commissioner,  
8 the Department of Health, they have expertise in  
9 epidemiology and toxicology. They are the authority  
10 in health and their comments are going to be given  
11 great weight in our analysis and review and the  
12 comments we send back to the Air Force. The EPA, I  
13 think, also has submitted comments on the risk  
14 assessment.

15 COMMISSIONER HART STEBBINS: Great. And I  
16 want to follow up on Councilor Davis' comments. So  
17 this has been an issue before this Board, really  
18 since late 2009, early 2010. Well, in 2011 I believe  
19 there was a presentation by the Air Force given to  
20 Congress committing to certain deadlines and I think  
21 those deadlines passed in 2014. And I understand  
22 there was a lot -- you know, that was Shaw, that was  
23 CB&I. There was some issues with that work. I think  
24 it would be helpful at some point to the public and  
25 to this Board to have a new set of deadlines that the

1 NMED might expect of this process. And I understand  
2 it's a decades-long process, but for some of these  
3 steps -- you know, one of the issues in that original  
4 contract with Shaw was characterization of the  
5 dissolved phase and the LNAPL and it looks like we  
6 still don't have that. And so, again, if there's the  
7 possibility of putting together some expectations so  
8 that we know, even understanding that they might be  
9 flexible, I think would be helpful for all of us to  
10 understand where you think we might be able to be  
11 seeing some of these outcomes.

12 MR. MCQUILLAN: Excellent suggestion, thank  
13 you. We'll work with the Air Force to put that  
14 together.

15 COMMISSIONER HART STEBBINS: Thank you.  
16 Again, thank you for being here. Thank you, Madam  
17 Chair.

18 CHAIRWOMAN JONES: Thank you, sir. Is there  
19 more presentation?

20 MS. LYNNE: Yes, but I think your questions  
21 actually -- and Dennis' answers, might have actually  
22 taken up most of our presentation. But let me get to  
23 the beginning here.

24 So my name is Kate Lynnes. I'm the Senior  
25 Advisor for the Air Force for this project, as

1 Mr. Correll stated earlier tonight. And if I can  
2 maybe have your forbearance, because so many of the  
3 topics that Mr. Scott Clark and I were going to  
4 discuss tonight in our slides have already been  
5 answered by Mr. McQuillan.

6 What I would like to do is maybe go through  
7 these slides and use it as an opportunity to  
8 elaborate on answering some of the questions that  
9 you, Commissioner Hart Stebbins, and you, Councilman  
10 Davis, have raised earlier this evening.

11 So what we had originally intended to do was  
12 specifically address the status of the Notice of  
13 Deficiency. Mr. Clark is going to provide an  
14 overview of the data gap wells and describe briefly  
15 the upgrades to our groundwater treatment system and  
16 briefly discuss our new extraction well, which is  
17 Well 239, which for those of you who go to Bullhead  
18 Park, if you go up San Pedro and you look down  
19 Ridgecrest a little bit, it was right down there. I  
20 drove by it every day as I -- when I went to walk my  
21 dogs.

22 The Notice of Deficiency has already been  
23 talked about at length, but what I do want you to  
24 understand is that we view that as a wake up call.  
25 We heard NMED. We realized that we were having some



1 communication issues, which is one of the reasons  
2 that we've reorganized ourselves a little bit, to  
3 make sure that we're all communicating better. And I  
4 think what actually happens is, when you're working  
5 so hard on a project, as all of us do, you kind of  
6 get your silos and engineers and stuff, we may not be  
7 the best communicators in the world, and I think that  
8 we kind of migrated away from the communication  
9 strategies that were working really well, kind of dug  
10 ourselves into our work and saw this as a wake up  
11 call to improve our communication skills.

12           And so what I want you to know is when we  
13 got that Notice of Deficiency, November 16th, pretty  
14 much we put the pedal to the metal to address  
15 everything. Everyone canceled their Christmas  
16 vacations and everything and we got it done. So we  
17 got the Vadose Zone Coring Work Plan submitted on 15  
18 December. It was conditionally approved, as Dennis  
19 said, on the 23rd of February. We got the Data Gap  
20 Well Work Plan submitted on the 20th of December, it  
21 was approved on the 28th of February. We also  
22 addressed another point, which was to include the  
23 USGS well data in our quarterly reports, which  
24 actually goes to one of the questions that you had,  
25 Councilman Davis, about with the water table wells

1 being submerged, how do we know where the plume  
2 really is. Well, fortunately the USGS wells that are  
3 now part -- all in one place. We've always looked at  
4 the data, but now they're in one report. They're in  
5 our report. We still have a viable well network,  
6 sentinel well network, on the tip of the plume  
7 between our plume and the Water Authority's wells.  
8 So that, plus the fact that we are now pumping pretty  
9 consistently on now a four-well system, but until  
10 then a three-well system, that has an affect on  
11 helping stop the forward movement of that plume, the  
12 hydrologic control, the plume collapse and capture,  
13 which Dennis alluded to, as well as we do have a  
14 viable well system with those USGS wells in place.  
15 So I hope that helps elaborate a little bit on the  
16 answer to your question.

17 COUNCILOR DAVIS: Ms. Lynnes, very quickly.  
18 Can I just follow up to clarify there. Just so I'm  
19 clear, Madam Chair, if that's -- I know we're talking  
20 time here. But the USGS wells are essentially a  
21 sentinel --

22 MS. LYNNES: Yes.

23 COUNCILOR DAVIS: -- for us and they always  
24 have been. But those aren't sufficient, in my  
25 understanding, for us to capture the data to decide

1    how -- exactly where the plume is and that's really  
2    been the question we haven't been able to get to from  
3    the very beginning. We know where it's not and  
4    certainly if it hits our USGS wells, it's coming to  
5    the Water Authority wells, which is a problem. So we  
6    know where it's not, but we yet still don't have a  
7    real sense of exactly what the extent is. Is that  
8    fair?

9                   MS. LYNNE: Well, I don't know if I would  
10   carry it quite that far. I think that prior to the  
11   -- I think it was unexpected on everyone's radar, the  
12   significant jump we had in the first half of 2017.  
13   By the way, it's kind of flattened out again with the  
14   water table. Is that we had actually a pretty  
15   comprehensive network and we had a pretty good handle  
16   on where that plume is in that palaeochannel. And I  
17   think 2016 is when we put those two wells kind of in  
18   the upper corner to kind of get that extra corner  
19   there. So we actually had, I think, a pretty good  
20   boundary on that plume in addition to the sentinel  
21   wells. But when you lose your water table screens,  
22   and as Scott will describe, some of them are  
23   submerged only by this much, some of them are  
24   significantly submerged. They still provide data.  
25   And our intermediate and deep wells are still viable.

1 It did affect our ability to show both horizontal  
2 capture because we can't get the water table right  
3 there. So when you're calculating that plume capture  
4 you've lost that data point. And we also don't have  
5 the concentration of ethylene dibromide exactly at  
6 the water table because, again, the screens are  
7 submerged. And Scott's got a cartoon to kind of help  
8 you visualize that if you've never installed a --  
9 oops, sorry. Never installed a well before and you  
10 don't really know what they look like. So I think  
11 that's overstating.

12 I think we did have a very good handle on  
13 where the plume is. And the other thing you also  
14 have to think about, and actually this next slide  
15 here talking about the technical working group for  
16 modeling being reconstituted or reinitiated for this  
17 effort. When you're pumping like we are you're  
18 creating a zone of hydrology control around those  
19 extraction wells. And so one of the goals of this  
20 modeling effort, and the technical working group is  
21 going to be working on in April, is we need a model  
22 or models that are agile enough for all of the  
23 different inputs and variability of inputs that we  
24 have here.

25 So, for instance, right now you're not

1     pumping the Ridgecrest wells as much because you've  
2     got the San Juan Chama diversion water, and so it's,  
3     as Dennis said, it changed the cone of depression,  
4     it's flattened out the gradient a little bit. But  
5     what if there's a big fire this year and Abiquiu gets  
6     slammed full of ash like Cochiti did, would you then  
7     have to increase your pumping? You know, we have  
8     been pumping our extraction wells. We've added a  
9     fourth extraction well. What does that effect have  
10    on our plume and where it's at and the gradient? So  
11    we're looking for a model or models that can help us  
12    put these different parameters in place and figure  
13    out and try to predict where our weak points are,  
14    what we really need to look at. And again, as Dennis  
15    mentioned, this is all done according to  
16    well-established EPA guidance. Everybody in the  
17    country uses this, it's standard. It's been used for  
18    decades and it's an awesome guidance document. So  
19    that is where we are headed with this, is either one  
20    or maybe two models that help us resolve this.

21           And then the other part, looking a little  
22    bit into the future, is also to support the  
23    Corrective Measures Evaluation at that point. And in  
24    addition to all the folks that Dennis mentioned that  
25    are involved in the technical working group, we've

1     also reached back to the Air Force Civil Engineer  
2     Center in San Antonio and we have access to one of  
3     their great modelers that's been involved before and  
4     another really great hydrogeologist are re-engaged in  
5     this project as well. So we're just not relying on  
6     our contractors, we're actually reaching back to the  
7     brains that we have in San Antonio and bringing them  
8     back into this effort. And so as Dennis mentioned,  
9     at the end of March we'll submit some preliminary  
10    modeling, but the intent is to then bring this as  
11    part of the discussion in the technical working group  
12    meeting. Everybody submits their data. Everything  
13    is out there for everyone to review before the  
14    meeting, and then we'll sit down and go through --  
15    and as Dennis said, it's a true nerd fest. I mean,  
16    it's all day long. You're lucky if you get to eat.  
17    And start to pound this out. And if we need another  
18    meeting or so, we'll do it.

19           And just a couple of things, just briefly.  
20    You also asked about the difference in the strategic  
21    plan. Now, the strategic plan is the State's  
22    document. I think it was a wonderful idea when the  
23    State initiated doing this a few years ago because --  
24    as Dennis said, we could fill this room with  
25    notebooks and data, right. No average person can

1 plow through all of that. And the strategic plan, I  
2 think, is a really good accessible way for the public  
3 and folks like yourself who have to answer to the  
4 public, what's going on with this cleanup. But in  
5 reality that's -- as Dennis mentioned at the  
6 beginning of his presentation, that is not an  
7 enforceable document. That is not the permit that we  
8 are subject to for this cleanup. I have been doing  
9 RCRA cleanup work for over 30 years. I'm that old.  
10 This permit is a tough permit. The corrective action  
11 process is very rigorous. And so, you expressed --  
12 you both expressed concerns about how much we rely on  
13 monitor and natural attenuation or what kind of  
14 technologies we're really going to use. We're not  
15 even at that point of deciding that. We have  
16 invested very heavily in interim measures,  
17 particularly the groundwater pump and treat because,  
18 I think justifiably so, the Water Authority wanted  
19 it, our Congressional representatives wanted it, the  
20 City wanted it, the community wanted it and we've  
21 invested a significant amount of money. And as  
22 Dennis said, the most high-tech groundwater treatment  
23 plant in the State. That is an interim measure.  
24 That is not a final remedy necessarily. The work  
25 that we've done with SVE, the soil vapor extraction,

1     remediating between that and the bioslurping and a  
2     few other things, has removed about 750,000 gallons  
3     of equivalence of fuel from that source area. We've  
4     removed tons of soil. Those are all interim  
5     measures. These pilots are designed to help us  
6     figure out what the next step is. Do they involve  
7     some biological and monitored, you know, natural  
8     attenuation issues to look at? Yes. Do they involve  
9     engineered technologies? Yes. We have a complex  
10    site with complex stratigraphy. There isn't  
11    something that we could say -- tomorrow we could go  
12    out and say, we know for sure this is going to work.  
13    Unfortunately none of us can do that. And we're  
14    trying to use data and the best science and the best  
15    brains we have available to try pilots just so that  
16    when we get to that Corrective Measures Evaluation,  
17    which you have to go through all these different  
18    alternatives and rank them based on very stringent  
19    criteria to submit to the State where you're  
20    basically saying, we know this won't work, we tried  
21    it. We don't think this will work because we can  
22    show it on paper it won't work. But, boy, this EDB  
23    recirculation pilot really has potential and we want  
24    to recommend it for this area because our coring  
25    showed this is a hot spot, we think this would be an



1     excellent place to use this technology. So please  
2     don't think that the strategic plan, and Dennis said  
3     this as well, that's not what drives the regulatory  
4     framework for this cleanup. It is our corrective  
5     action provisions of our RCRA permit which, believe  
6     me, have significant regulatory teeth. So I just  
7     wanted to make that clear.

8             And I will turn this over to Scott to talk a  
9     little bit --

10            CHAIRWOMAN JONES: Just a second, please.

11            MS. LYNNE: Oh, sure. Absolutely.

12            CHAIRWOMAN JONES: Just for a moment,  
13     please. Commissioner Hart Stebbins, you had a couple  
14     of questions.

15            MS. LYNNE: Absolutely.

16            CHAIRWOMAN JONES: And I'm going to ask you,  
17     Scott, to kind of roll it along. Thank you.

18            COMMISSIONER HART STEBBINS: Madam Chair,  
19     thank you. I'll save my questions for after the  
20     presentation.

21            CHAIRWOMAN JONES: Thank you.

22            MR. CLARK: So, yeah, I was going to speak  
23     to the data gaps. As Councilor Davis said, that  
24     there were a number of wells that had flooded. It  
25     was 53 submerged shallow well screens. And by

1 shallow well screens, those are the wells that are  
2 literally screened across the water table. So with  
3 those wells we're able to pull water samples from  
4 directly on top of the water table and that's  
5 important because that helps us to characterize the  
6 plume at the very top.

7           So what's happened is, with the rise in the  
8 water table the well screens, the top of the well  
9 screens, are now submerged. So what used to be a  
10 shallow well screen is now what we would consider an  
11 intermediate well screen. So what we did is we  
12 looked at what the data gaps were as a result of the  
13 rising water table and where the well screens were  
14 flooded and we decided, you know, we're going to have  
15 to go back in and stick some more wells in to fill  
16 that data gap. And so we'll say it wasn't a  
17 data-driven need to replace all of the wells. When  
18 we first started there were a number of redundancies  
19 in the wells and the wells that are around it. So we  
20 looked at all that stuff and decided to do it, of  
21 course, in a very holistic fashion. We submitted a  
22 work plan to NMED in December; that was approved in  
23 February and we went forward.

24           And so just so -- to give an idea of, you  
25 know, how we had screened wells. This is kind of

1 simplified but, you know, we consider shallow,  
2 intermediate and deep. And again, the shallow are  
3 the ones that are screened across the water table.  
4 So as that water table has risen, the 53 screened  
5 wells that were considered shallow wells are now in  
6 the intermediate. And that's important for us  
7 because we need to not only know the lateral and  
8 horizontal extent of the plume, but we also need to  
9 know the vertical extent. It's not a pancake, it  
10 doesn't sit on top, it's kind of a blob. And so we  
11 need to know concentrations at different depths. And  
12 so the area we really have in the data gap is from  
13 the top of the well screens that are flooded to the  
14 top of water table. And like Kate had brought up a  
15 little earlier, there are some areas where it's a  
16 matter of feet and there are some areas where it's up  
17 to 10 or 12 feet where we have that data gap. But  
18 we're committed to putting in wells and taking care  
19 of that.

20 So just a summary of the new wells. Or  
21 actually, a three-prong approach. Six of them are  
22 just going to be straight up groundwater monitoring  
23 wells. We're putting in groundwater monitoring wells  
24 screened across the water table and they will have a  
25 lot of screen on them and they will be able to

1 account for any rise in the groundwater moving  
2 forward, so they're future-proof. So we're putting  
3 those in. And we had talked too about those LNAPL  
4 coreholes and that is a coring program. Generally  
5 we're going to be taking cores in the LNAPL, kind of  
6 like what you see in Antarctica or whatever, where  
7 they take, you know, actual cores. And we'll be  
8 pulling those and doing geological evaluations,  
9 chemical evaluations. We'll be looking at any  
10 microbial communities that may already be down there.  
11 From those cores, any data that we can glean from  
12 that we will do. And when we finish those cores  
13 we're actually going to go back and complete those  
14 cores as monitoring wells too, so they will also have  
15 well screens. We'll be able to sample those moving  
16 forward.

17 In addition to that we have 7 and possibly  
18 up to 12, depending on the water rate, of existing  
19 wells that are out there. Before when we put some  
20 wells in we actually did screen some as dry wells  
21 above the groundwater table and as the water table  
22 has risen those have water in them and now we're able  
23 to sample them. And we also have some deep soil  
24 vapor wells that were, you know, soil vapor wells  
25 down directly above the water table that we used to

1 sample for soil vapor concentrations at depth and  
2 because of the rising water table those have water in  
3 them and so we're able to sample those. And so what  
4 we'll be doing is adding 18 new groundwater  
5 monitoring locations to the existing hundred and  
6 forty-three monitoring well network. And so I should  
7 say like, you know, we're still able to sample the  
8 wells that are flooded. We're still able to get good  
9 data from them. We can still gauge them, which is,  
10 you know, getting groundwater elevation data, we're  
11 just sampling from a different part, a lower part of  
12 the aquifer than we were before and, you know, we  
13 have that data gap to fill a number of those wells.

14           And my last slide too, I think you guys have  
15 a copy of this. And it's a map. I know Dennis' map  
16 was a little better. It's roughly the same map. But  
17 you can see on the plume, the red dots are the four  
18 extraction wells and those are running right now.  
19 And the green on here are where the new data gap  
20 wells, all 18 of the new wells, which is again the  
21 coring, the monitoring wells and the new wells that  
22 have come online as a result of the rising water  
23 table. And on the top northeast corner too, you'll  
24 see the yellow and those are wells that are currently  
25 active, they're still screened across the water table

1 and those are areas that are directly between the  
2 Water Utility Authority wells and the plume.

3 So that's all I had. I don't know if there  
4 are any questions or if you wanted to wait until the  
5 end.

6 CHAIRWOMAN JONES: Thank you, sir.

7 MS. LYNNE: Just one last thing. And I  
8 would love to brag on our new treatment system and  
9 our expanded treatment system, but I won't for the  
10 sake of time. But I do want to spend just about two  
11 minutes talking about the fourth extraction well,  
12 which is the one that's closest to the base.

13 This one is important because, as I think  
14 you know -- the issue you were raising, Commissioner  
15 Hart Stebbins, about what may be perceived as taking  
16 too long to do additional characterization in the  
17 source area. We recognize that we have residual  
18 contamination in the source area, that's why we're  
19 doing the coring, that's why we're looking at various  
20 treatment pilots as ways to address that  
21 contamination in that source area. But we all know  
22 that if you continue to have ethylene dibromide from  
23 the source area go into solution and feed that plume  
24 that's gone off site, no matter how much you pump on  
25 the tip end of it, you're never going to kill it,

1 right? You're just going to be in this perpetual  
2 pump and treat mode forever, which you don't want us  
3 to be in. And frankly, we don't want to be in.

4           This fourth extraction well is designed to  
5 start to cut off the root of that plume, that's why  
6 it's placed where it is. The modelers actually --  
7 their original location was in the middle of  
8 someone's driveway and we convinced them to move it  
9 over just a hair, thinking nobody wanted a drill rig  
10 in their driveway. But it was selected with the  
11 concurrence of the modelers and the pumping rate was  
12 as well, to say, this is the place where we can start  
13 to stop that feeding of the ethylene dibromide plume,  
14 not affect the overlapping benzene plume that's  
15 closer to the base, where actually the bacteria are  
16 doing a pretty good job of keeping that stable and  
17 keeping it from moving, the bacteria we all love so  
18 much, and hit that sweet spot where we can start to  
19 cut it off at the base and continue to bring it back  
20 from the tip. And so, this was a critical well for  
21 us to put in and it went online at 11:30 on February  
22 the 5th. I remember seeing the email, that it was up  
23 and running.

24           So I just wanted to point out that that well  
25 is very different and it's very critical and I think

1 it addresses a concern that I've heard expressed  
2 several times when we've come here.

3 (Councilor Davis excused)

4 CHAIRWOMAN JONES: Sorry, but we need to  
5 move on with this. Are there any questions before we  
6 ask our representative for the Water Authority to  
7 come discuss this with us? Commissioner Hart  
8 Stebbins.

9 COMMISSIONER HART STEBBINS: Thank you,  
10 Madam Chair. A couple of questions, and I'm going to  
11 work backwards. Risk assessment. I know you were  
12 kind of the lead on that. Again, is the information  
13 I have about the Department of Health's assessment  
14 accurate?

15 MS. LYNNE: Frankly, I was not aware that  
16 they had done one, ma'am. That was not communicated  
17 to me.

18 COMMISSIONER HART STEBBINS: All right.  
19 Something you said a little bit earlier indicated  
20 that you think there's a consensus on the plume  
21 capture, that the way the system is operating right  
22 now is actually capturing and drawing in the EDB. I  
23 thought that was one of the issues in the Notice of  
24 Deficiency, that there was not consensus and not  
25 enough information RFI to support that.



1 MS. LYNNE: It was not -- I think it was  
2 really more a matter of overstatement in terms of the  
3 degree of plume capture. I think that we are -- it's  
4 an unusual RFI report, in that usually an RFI report,  
5 or RCRA Facility Investigation Report, is designed to  
6 just kind of be like a dragnet thing, just the facts.  
7 We came, we saw, we sampled, here's the results. We  
8 brought in information from the interim measures to  
9 try to discuss where we're at, but keep in mind the  
10 cutoff point for that was the end of December of  
11 2015.

12 COMMISSIONER HART STEBBINS: And I  
13 understand that. Let me just get back to my original  
14 question.

15 MS. LYNNE: Okay.

16 COMMISSIONER HART STEBBINS: Did you say  
17 tonight that there is a consensus among the  
18 stakeholders that the pump and treat system that's  
19 operating is capturing the plume?

20 MS. LYNNE: I don't -- like we just got  
21 done discussing, that we have data gaps in terms of  
22 horizontal capture and concentrations right now  
23 because of the rise in the water table. Before the  
24 rise in the water table, I think among, you know,  
25 NMED in terms of approving those little corner wells

1     that we put in to finish kind of the general boundary  
2     of the plume both vertically and horizontally. You  
3     know, is it perfectly defined? No. Is it defined  
4     enough to be able to say, here's where extraction  
5     wells need to go and stuff. And then, you know, the  
6     wonderful water conservation activities of this  
7     community threw us for a loop.

8             I would like to go back to the risk  
9     assessment though and something you may not be aware  
10    of. The risk assessment, again, is sort of an  
11    interim risk assessment. Because, again, when you've  
12    got 16 years of data and you've got a process that  
13    goes on this long, you want to do a snapshot risk  
14    assessment to say, is there something going on that  
15    could adversely affect someone, either on Base or off  
16    Base. So we all agreed, including the State, that  
17    this was a good time to do one. If it needs to be  
18    updated, particularly based on certain remedies, we  
19    will do it at the Corrective Measures Evaluation. We  
20    did it in accordance with the guidance that's issued  
21    by the State for risk assessments and we submitted  
22    each section of it to the -- most sections of it to  
23    the State as we went through it. And we worked very  
24    closely on how to structure it and how to discuss it.  
25    You know, we fully anticipate comments but, you know,

1 I do believe that it followed the guidance, yes.

2 COMMISSIONER HART STEBBINS: Great. Pump  
3 and treat. I think you heard my question to the  
4 Environment Department. It seems INTERA's model,  
5 capture model, was based on those four wells pumping  
6 24/7. Is it accurate that they're not pumping 24/7?

7 MS. LYNNE: They are not. We do it as much  
8 as we can. You know, every once in a while. Like,  
9 for instance, when we were hooking up the new piping  
10 for the expansion of the treatment system, we had to  
11 shut one of the wells off to be able to do that, so  
12 those things happen. Do we pump them to the fullest  
13 extent that we can? Yes. But, you know, just at the  
14 stakeholder meeting earlier today that we had, and  
15 there was a representative from the Water Authority  
16 there, as well as everybody else, we actually -- the  
17 plume is getting narrower, at least horizontally.  
18 And actually, one of our extraction wells, 233, is  
19 outside of the plume boundary because the effect of  
20 the pumping and everything has kind of shrank it and  
21 made it more narrow. 228 and 234, which are on the  
22 tip and the side are actually doing more of the  
23 yeoman's work. And we've just turned on 239, so we  
24 really don't have any good data from it. It hasn't  
25 even been operating a month, but what it does show is

1     that -- in fact, our influent from all the wells is  
2     now below the maximum contaminant limit, which is the  
3     enforceable cleanup criteria. So we, you know, we're  
4     actually, you know, pumping water for hydraulic -- to  
5     get the capture zone. Is it fully done? No,  
6     absolutely not. That's why this is an interim  
7     measure, we're not claiming that. But right now  
8     we're basically treating almost clean water and we're  
9     using the pump and treat for trying to increase that  
10    zone of capture and collapse and bring it back.

11           COMMISSIONER HART STEBBINS: So the Air  
12    Force model was never built on 24/7 pumping. Is that  
13    accurate?

14           MS. LYNNE: We have had some capture models  
15    that, as Dennis mentioned, were based -- once we  
16    started getting actual data, we were relying, being  
17    kind of engineering I suppose in our vent, we're  
18    relying rather on models as much as we were looking  
19    at actual data. And we agreed with the State that  
20    that was inadequate, particularly with losing some of  
21    those wells and losing those horizontal data points.  
22    So that is why we are working, INTERA and the Water  
23    Authority are involved in this technical working  
24    group, we are working to develop a model or models  
25    that are consistent with EPA guidance and the

1 six-step capture analysis and when those models are  
2 selected and we all agree that it's our  
3 responsibility to go back and run them, whether it's  
4 one or two, and submit those detailed reports to the  
5 New Mexico Environment Department, once those are  
6 selected and consistent with EPA guidance.

7 COMMISSIONER HART STEBBINS: Is the Air  
8 Force using a new modeling software? FEFLOW.

9 MS. LYNNE: We haven't selected what we're  
10 using really.

11 COMMISSIONER HART STEBBINS: Is that under  
12 consideration?

13 MS. LYNNE: Yes, absolutely, but there are  
14 people -- when you get a bunch of modelers in a room,  
15 there's various opinions about all those things.

16 COMMISSIONER HART STEBBINS: Sure, I  
17 understand. FEFLOW integrates with or talks to other  
18 modeling systems?

19 MS. LYNNE: It can, yeah.

20 COMMISSIONER HART STEBBINS: Is it a  
21 proprietary product?

22 MS. LYNNE: No.

23 COMMISSIONER HART STEBBINS: Okay.

24 MS. LYNNE: And I think that's why we're  
25 looking at more than one -- potentially more than one

1 model, because this is a complex site. We have  
2 complex stratigraphy. We have a bunch of different  
3 variables.

4 COMMISSIONER HART STEBBINS: I get that.  
5 Yep, we've heard about that. And I am absolutely  
6 understanding of that and the complexity of this  
7 project. So my last question, since you are the Air  
8 Force spokesperson. The coring plan, the bid  
9 documents, the bid package that has gone out for  
10 that, does that reflect the consensus of the  
11 technical working group?

12 MS. LYNNE: The coring work plan and the  
13 work that will be scoped and implemented will be in  
14 accordance with the approved work plan that the State  
15 approved in February.

16 COMMISSIONER HART STEBBINS: Does that  
17 include the input from the technical working group?

18 MS. LYNNE: It does. Does it exactly match  
19 everything? No.

20 COMMISSIONER HART STEBBINS: Okay.

21 MS. LYNNE: But we have to comply with the  
22 approved work plan and the conditions from the State  
23 of New Mexico because they are a regulator.

24 COMMISSIONER HART STEBBINS: Absolutely.  
25 Thank you very much. And just before I conclude, I

1 just want to thank Secretary Correll for being here.  
2 I don't know if I've ever publicly been able to say  
3 this, but I really feel that when you joined this  
4 conversation, that we saw a real change in how the  
5 Air Force was willing to interact with all of the  
6 stakeholders, particularly us at the Water Utility  
7 Authority. So thank you for that. We continue to  
8 appreciate your engagement and just the fact that  
9 you're here tonight. So thank you, sir.

10 Thank you, Madam Chair.

11 CHAIRWOMAN JONES: Thank you, everyone. We  
12 would like to hear from -- I think there are a few  
13 questions from -- for the Water Authority. Rick, if  
14 you would like to come down. And perhaps if you want  
15 to make a statement, that's fine with us. And then  
16 we have a couple of quick questions for you and then  
17 we will proceed.

18 Good evening.

19 MR. SHEAN: Good evening and thank you.  
20 Thank you very much.

21 We have sent out a memo with our comments,  
22 today, on the Strategic Plan 2018 from NMED. And  
23 listening tonight, they've answered a lot of  
24 questions. Still leave me with some questions I  
25 have, though, for NMED on the -- first of all, there

1 was a removal of pump and treat from -- or plume  
2 collapse from the sort of initial page and that was  
3 usually a priority site. So that, to us, was very  
4 clear, it did not look like 2018 was a year of full  
5 pump and treat or it opened itself up to other  
6 options, such as the natural attenuation, which they  
7 did speak to.

8 The hydrolysis that they were talking about  
9 is something -- we haven't seen evidence, and our  
10 review of the RFI document by INTERA showed that we  
11 did not agree that it was occurring. And the way we  
12 understand is, if it was happening at any significant  
13 rate in the aquifer, that the plume actually probably  
14 wouldn't be there, at least stretching as long as it  
15 is into the aquifer. So that's one of our main  
16 concerns.

17 I could go on, but I'll open myself to other  
18 questions.

19 CHAIRWOMAN JONES: Thank you. Councilor  
20 Pena, did you have questions?

21 COUNCILOR PENA: No, I'm good.

22 CHAIRWOMAN JONES: Are there any questions  
23 for Rick? Thank you. And thanks for helping us  
24 through this.

25 MR. SHEAN: Thank you.



1           CHAIRWOMAN JONES: Thank you. That does  
2     conclude our Water Report, but since we're already on  
3     the Other Business section, Ms. Yuhas, would you like  
4     to come give us a drought update before we move along  
5     with the regular agenda.

6           Thank you.

7           MS. YUHAS: I'm not quite sure where my  
8     slide is. It's the very last -- oh, there we go.

9           Madam Chair, Members of the Board, 73  
10    percent of the State is in severe drought and extreme  
11    drought conditions have increased across the northern  
12    part of the State since last month. These conditions  
13    are expected to continue through June, but they  
14    should ease in July and August which might allow us  
15    to have a normal monsoon season.

16           And on the positive side, if you look over  
17    at the right side of this slide, our customers are  
18    doing a great job keeping their water use under  
19    control. Our customers have only used 30 million  
20    gallons more than last year. Now, 30 million might  
21    sound like a whole lot, but that actually equates to  
22    less than a quarter of a gallon per person per day  
23    and that is in the face of having received far less  
24    moisture this year. Precipitation from January to  
25    March 21st of 2017 was 1.39 inches and this year it

1     was just .63. So they've had a modest increase in  
2     water use in response to the drought. So our  
3     customers are doing just what we have been working  
4     with them for 20 years to get them to do, respond  
5     appropriately to weather conditions, but not  
6     overwater in response to drought.

7             With that good news, I'll stand for any  
8     questions.

9             CHAIRWOMAN JONES: Thank you, Ms. Yuhas.  
10    Are there any questions? Thank you very much for the  
11    report. So let's get back on the agenda, which would  
12    be the approval of the minutes. I make a motion to  
13    approve the February 28th, 2018 minutes.

14            COMMISSIONER HART STEBBINS: Second.

15            COUNCILOR PENA: Second.

16            CHAIRWOMAN JONES: There's a motion and a  
17    second. All those in favor say yes.

18            MEMBERS: Yes.

19            CHAIRWOMAN JONES: Opposed? Motion carries.  
20    There are no proclamations and awards. However, I  
21    believe there's probably public comment. So how many  
22    do we have signed up this evening?

23            MS. CARREON: Six.

24            CHAIRWOMAN JONES: Six. So I'm going to  
25    give each person three minutes to speak, with a

1 warning at two-and-a-half. If you'll please wrap it  
2 up at two-and-a-half minutes. Would you call the  
3 first speaker?

4 MS. CARREON: David McCoy, followed by Laura  
5 Dale.

6 MR. MCCOY: Good evening. I'm Dave McCoy  
7 with Citizen Action New Mexico. I appreciate the  
8 comments and the concerns that were expressed, they  
9 were quite accurate and to the point. So I want to  
10 add a few things. I want to talk just a little about  
11 pump and treat. This is a technology that's for  
12 every gram of EDB that you remove you're removing  
13 about somewhere between -- around 3.8 million gallons  
14 of water. For 350 million gallons they've removed  
15 about a hundred and ten grams of EDB. That's a few  
16 teaspoons. So you're looking at millions of grams of  
17 EDB potentially out there in the aquifer and if you  
18 divide a hundred and ten grams into even a hundred  
19 thousand grams you're at a thousand years using, you  
20 know, pump and treat technology. So this certainly  
21 isn't a solution to the problem.

22 Our concern is, one, there's no RFI in  
23 place. It was done back in 2014, it was late then.  
24 Then it's late now again and now it's being extended.  
25 And we had a risk assessment plan that was premised

1 on the RFI, which had lots of data gaps. So how do  
2 you have an accurate risk assessment based on an  
3 inaccurate RFI.

4 I'm going to be jumping around a little, I  
5 guess, tonight. But one of the things with respect  
6 to public participation, and anybody's participation,  
7 is the New Mexico Environment Department web site.  
8 It's not searchable. You go in, you want to search  
9 through ten years of documents. Try putting in a  
10 word, find it. You know, you won't find it. It  
11 doesn't come up because it's not searchable. That  
12 web site needs to be made searchable and when they  
13 post documents they need to be searchable too. And  
14 so, that's a concern. There's no organization chart  
15 for all these different agencies that are involved  
16 and who's doing what and when is it being done.

17 And I've talked before about the lack of the  
18 public to attend technical meetings, we think that's  
19 a problem still. We think the plan ignores EDB and  
20 the contaminant health dangers that should be  
21 expressed. The critical gaps remain that have to  
22 be --

23 CHAIRWOMAN JONES: Sorry, Mr. McCoy. Thank  
24 you. Mr. McCoy, sorry, but we're running a tight  
25 schedule tonight. Thank you, Mr. McCoy.

1                   Next speaker.

2                   MS. CARREON: Dale, Laura; followed by Cody  
3 Slama.

4                   CHAIRWOMAN JONES: Good evening.

5                   MS. DALE: My name is Laura Dale. I'm a  
6 free speech advocate. How this ties into the water  
7 issues is, I am here because we are starting to issue  
8 the RFI for the public access channels. It has  
9 previously been operated by an entity that  
10 masquerades as a non-profit and is, in fact, a for  
11 profit agency; has not put out more than ten hours of  
12 public access programming. And one of the reasons  
13 I'm so involved in this and the way it ties into the  
14 water is, the irony is that public access started as  
15 some activists in Canada who were doing filming about  
16 water contamination. They saw these cables being  
17 laid in the land and saw that this community was not  
18 being listened to, so they made a bargain with the  
19 cable companies. You give us some so we can create  
20 some media so we can get some attention to these  
21 issues and we'll let you lay the cables. And so that  
22 did so well in Canada they even won the Water Rights  
23 issue, that it traveled to New York and then it took  
24 over the country. So cable access -- public access  
25 started as a Water Rights issue. A water

1     contamination rights issue.

2                 We got the same thing going on here and the  
3     big irony of the plume, the reason we even know about  
4     it is because of some very devoted public activists  
5     here in New Mexico who were involved with the public  
6     access station when Kirtland Air Force Base had its  
7     head in the absolute sand, was refusing to even admit  
8     there was a plume. And some public advocates here in  
9     the State who are military people got on their little  
10    channel with public access and repeatedly and  
11    repeatedly and repeatedly talked about the plume  
12    until finally you folks listened, and I don't mean  
13    you here, I just mean the government and the  
14    agencies.

15                So public access is a fundamental part of  
16    the canary in the coal mine. When accidents like  
17    this happen it's the public's health that hits first.  
18    You start seeing the birth rates go down. You start  
19    seeing the cancer rates go up, or whatever. So the  
20    public is always the one who first experiences the  
21    impact of this. And we take away the voice from  
22    public access, you've destroyed their ability to  
23    explain what is happening to them and to get people  
24    like you to take it seriously.

25                Kirtland Air Force Base would have literally

1 buried that for as long as possible had it not been  
2 for public access in New Mexico constantly putting  
3 programs and constantly going to meetings and  
4 constantly talking about the health consequences that  
5 were happening.

6           So it is time to get back a robust, powerful  
7 community-based public access channel, away from the  
8 contractor who has turned away pretty much every  
9 producer that used to be on the previous contract,  
10 and let's get back to the canary in the coal mine,  
11 being able to tell the community, this is what's  
12 happening to us. This is what's hurting us. This is  
13 why our children can't read. This is why this and  
14 that. This is a viable part of how you as the  
15 governing bodies stay on top of these issues before  
16 they become the plume that you can't contain and that  
17 you don't know where it is.

18           And if people had listened to them back  
19 then, this would not be the utter mess that it is  
20 right now. So please, take this RFI process very  
21 seriously. Let's get the best person in the position  
22 and let's get our voices back on this. Thank you.

23           CHAIRWOMAN JONES: Thank you.

24           MS. CARREON: Cody, followed by Mike Neas.

25           MR. SLAMA: Hello. My name is Cody Slama.

1 I'm with Albuquerque Water Groups. And I am here  
2 tonight because I'm very concerned that this plume  
3 isn't being cleaned up as fast as it should be and  
4 I'm concerned that it may never be cleaned up.

5           The extraction wells have only pulled out 87  
6 grams of EDB, ethylene dibromide, when there's much,  
7 much more. So this is the very minimal amount. And  
8 this new plan seems to be having a lot to do with  
9 monitoring wells, and that's another one of my  
10 concerns, is that the monitoring wells that they have  
11 now aren't calculating whether the water is  
12 contaminated or not. And that's very concerning to  
13 me because I live very close to the plume and I want  
14 to know whether my water is safe to drink, to use for  
15 showering. So going along in the future I want to  
16 know what is the plan and what is the strategy for  
17 when the cleanup fails, because it looks to me like  
18 -- and I was not convinced tonight, and I've been to  
19 other public meetings, and I am not convinced at all  
20 that this cleanup is going well. And I want to know,  
21 what is the plan whenever it fails. And how is the  
22 public going to be informed. There's quarterly  
23 meetings, but are you going to wait a few months to  
24 tell the public before the regular public meetings  
25 come up. So, yeah, that's really what I came up here



1     tonight for, is to ask that question and to request  
2     that we don't have anything that happened like in  
3     Michigan a few years ago, where the public was not  
4     informed. And if this contamination is ever in our  
5     drinking water, we need to know right away because  
6     this is an environmental justice issue and it needs  
7     to be dealt with and I would ask that everyone in  
8     this room and everyone else who has a say in how this  
9     is dealt with, that it is dealt with. Thank you.

10           CHAIRWOMAN JONES: Thank you.

11           MS. CARREON: Mike Neas, followed by Elaine  
12     Hebard.

13           MR. NEAS: Madam Chair, Members of the  
14     Board. My name is Mike Neas. I appreciate you  
15     allowing us to hear the presentation tonight prior to  
16     public comment. There were a couple of things I'd  
17     like to mention regarding that.

18           One of the speakers mentioned that what if  
19     there was a forest fire and Abiquiu Lake was closed  
20     because of all the debris coming from the fire? What  
21     I'd like to talk to you about a little bit tonight is  
22     about the fact that the Water Protection Advisory  
23     Board in 2017 issued an advisory letter requesting  
24     that you look into oil and gas ordinances for the  
25     City and the County. They're about to reissue that

1 letter and I think that probably in the next two  
2 weeks you will have a new and improved letter because  
3 nobody was listening to it the first time.

4 One of the things that changed their minds  
5 was a presentation by a geologist by the name of Don  
6 Philips. And Mr. Philips has a very compelling  
7 presentation going to be given right here in this  
8 room on April 3rd at 6:30. So I recommend and I hope  
9 that you will all watch and attend that presentation,  
10 because the Albuquerque Basin does need to be  
11 protected. We do need to be paying attention to  
12 other potential pollution hazards, not just the  
13 Kirtland spill. And so -- and by the way, the  
14 presentation on the 3rd at 6:30 is sponsored by  
15 Commissioner Hart Stebbins and Councilor Davis, so  
16 please attend and let's not let any further -- you  
17 know, being pro-active is more important than cleanup  
18 and hopefully Bernalillo County never has to go  
19 through what we're going through with the Kirtland  
20 spill again. Thank you.

21 COMMISSIONER HART STEBBINS: Madam Chair.  
22 Mr. Neas, I just want to thank you for your interest  
23 in this, your engagement, your ongoing engagement. I  
24 don't want to leave anybody with the impression that  
25 we got that letter and didn't listen. I think you're

1     aware of the work that has been done subsequent to  
2     the Water Protection Advisory Board's letter.

3                 MR. NEAS:    Yes.

4                 COMMISSIONER HART STEBBINS:   So again, just  
5     want to make sure that you're clear, we did read it.  
6     We have responded.   And look forward to continuing to  
7     work with you.

8                 MR. NEAS:    I am clear on that, Commissioner,  
9     and I'm sorry that it might have sounded like you  
10    didn't do anything.

11                COMMISSIONER HART STEBBINS:   I appreciate  
12    that.   Thank you, Madam Chair.

13                MS. CARREON:   Elaine Hebard, followed by  
14    Santiago Maestas.

15                MS. HEBARD:    Madam Chair, Santiago had to  
16    leave, so he asked me to say a few words, if I might,  
17    at the end of my comments.

18                My name is Elaine Hebard.   Tomorrow is World  
19    Water Day.   The theme is, 'The Answer Is In Nature'  
20    so I hope that you all will celebrate.

21                I'm here to talk about three action items.  
22    The first is on the Drought Management Strategy,  
23    which I would suggest be pulled out from the  
24    Conservation Plan.   It's Section 7 of the resolution  
25    tonight.   And that is because I think something that

1 Commissioner Hart Stebbins raised last month about  
2 the drought -- the groundwater pumping goal is one of  
3 two factors that is raised in that plan and it should  
4 probably be tied with the Groundwater Management Plan  
5 rather than the Conservation Plan. You'll use  
6 conservation measures if a drought is every  
7 mentioned. But the drought pumping goal increases if  
8 there's less water in the river because it is  
9 actually set because of the Fish and Wildlife Service  
10 annual operating plan rather than as part of a  
11 drought, so it increases pumping. We don't want to  
12 increase pumping. We are already paying back for the  
13 prior pumping. In fact, the depletions that are now  
14 in the river are probably twice what the pumping is  
15 right now because of past pumping. You don't want to  
16 add to those. We don't have a bank account. We  
17 didn't put water into it. We are paying more like a  
18 line of credit. So every time we take water out, we  
19 actually have to pay for that water.

20 The second item that I want to -- so the  
21 first item is, pull out the Drought Management  
22 Strategy. The second item that I'd like to just  
23 suggest is that in the goals and objectives, since  
24 the budget ordinance says, have a process which  
25 encourages active community participation, have a

1 workshop on the goals and objectives. Last night  
2 kicked off the County's 2015 -- 2018 cycle of goals  
3 and objectives for their CIP Program. I would  
4 suggest something similar with the Utility to make  
5 sure that it is connected and meshes with the City  
6 and County. And so there are several specific things  
7 that I would suggest with the goals and objectives  
8 that have been suggested and I will submit those in  
9 letter form because there's not enough time.

10 But one of the goals for this year was to  
11 update the water supply charge, and as far as I  
12 understand that has not yet been done. It will look  
13 at the expansion or the no-net expense -- the water  
14 supply charge is a part of the no-net expense  
15 calculation.

16 And so as Mr. Maestas was going to mention,  
17 tonight's R-18-9, which is authorizing amendment to  
18 the 2000 agreement with Western Water Land Holdings  
19 relies in part on the water supply charge as it  
20 currently exists. Since we know it's being changed,  
21 the request is to have a moratorium on anything that  
22 is asking for the current water supply charge until  
23 that charge is updated. And Mr. Maestas had the  
24 letters from SunTech to the Water Utility Authority  
25 about the water supply charge to hand out as part of

1 his presentation.

2 CHAIRWOMAN JONES: Thank you.

3 MS. HEBARD: Thank you.

4 CHAIRWOMAN JONES: Also, before we go to the  
5 next speaker, I just realized that Colonel Gibbs and  
6 Colonel Harnett are still here. We want to thank  
7 them for all the help they've given us and for  
8 dealing with this and also for your staff being here  
9 and listening to all that we have to say. Thank you.

10 MS. HEBARD: So that was Mr. Maestas'  
11 presentation as well.

12 CHAIRWOMAN JONES: Got it. Thank you.

13 MS. CARREON: We're done.

14 CHAIRWOMAN JONES: We're done, okay. Thank  
15 you. That is the end of public comment. The next  
16 scheduled meeting will be April 18th, 2018 at 5 p.m.  
17 here in the Vincent E. Griego Chambers.

18 The next item of business is the  
19 Introduction of First Reading of Legislation.

20 Mr. Roth.

21 MR. ROTH: Thank you, Madam Chair, Members  
22 of the Board. In front of you today are the goals  
23 and objectives for fiscal year '19. Just as a  
24 correction on the agenda, this is for fiscal year  
25 '19. The resolution is correct. We'll fix the title

1 for the resolution for the next agenda.

2           The goals and objectives are part of the  
3 Utility's Strategic Planning, Budgeting and  
4 Improvement process. You can see the goals and  
5 objectives on top of this diagram. As a part of the  
6 goals and objectives we do a lot of benchmarking,  
7 measuring our performance year to year. We also  
8 benchmark our performance against other  
9 high-performing utilities to look at performance  
10 gaps. We also look in terms of conducting  
11 assessments to look at best practice components based  
12 on effective utility management. All this is used to  
13 help drive the budget, which will be introduced at  
14 the April meeting. We balance this quantitative  
15 information with input from our customers. They  
16 weigh in on how they think we're doing. We do this  
17 through customer opinion surveys every two years,  
18 input from our advisory committees on a monthly basis  
19 and then customer conversations that occur four times  
20 a year. And we also use this information as a part  
21 of our employee expectation process in terms of the  
22 performance improvements. All this to help fulfill  
23 the mission of our utility.

24           This slide shows the five goal areas.

25       Within each goal we have guiding goal statements.

1 This is the, what we want to achieve, the desired  
2 outcome in each goal area over the long term and we  
3 measure our performance in each goal area by these  
4 key performance indicators. These come out from the  
5 American Water Works Association. So we measure our  
6 performance year to year on these key performance  
7 indicators, but also benchmark our performance  
8 against other high-performing utilities.

9 Through the benchmarking process, best  
10 practice assessments and customer input we identify  
11 performance gaps in terms of operations and service  
12 delivery. And we address those performance gaps  
13 through the budget process by allocating and  
14 prioritizing resources and we develop these improved  
15 processes in order to become more efficient and  
16 effective in our operations and service delivery and  
17 this is delivered through the one-year objectives.  
18 These objectives are part of our continued  
19 performance improvement process. So these objectives  
20 also -- some of these objectives become part of the  
21 employee expectation so that we can really drive  
22 performance throughout the organization and  
23 communicate our performance gaps and why we need to  
24 address these performance gaps. There's 52  
25 objectives in these goal areas and will highlight



1 some of the major objectives by these different goal  
2 areas.

3 In the water supply and operations goal we  
4 want to continue our work in the leak detection  
5 program, identifying leaks before they surface  
6 because we don't want catastrophic leaks, which often  
7 cost more money to fix.

8 In the aquifer storage and recovery we want  
9 to begin testing of the large-scale aquifer storage  
10 recovery project, which is underway at the drinking  
11 water plant and complete the operation plant for that  
12 project, but also evaluate what is the next ASR  
13 project going into the future.

14 We want to continue our progress in terms of  
15 planned maintenance activities. We want to conduct  
16 more planned maintenance rather than corrective  
17 maintenance. Over time we have targets for our  
18 surface and groundwater facilities.

19 This year we started water conservation  
20 events in terms of meeting with the auditors,  
21 landscapers, property managers and then generally  
22 open houses and we want to continue these events  
23 through fiscal year '19.

24 And lastly in this goal area we want to  
25 continue our partnership for a safe water program

1 where we learn about operation optimization to become  
2 more efficient in our service delivery to our  
3 customers. And also as a key objective,  
4 implementation of the Water 2120 Plan, which was  
5 adopted in 2016.

6 In the wastewater collection operations goal  
7 we have several targets around sewer cleaning and  
8 televising. This is used to help reduce sanitary  
9 sewer overflows. As you saw in the presentation last  
10 year during the budget process we're about halfway  
11 done in terms of the reclamation rehabilitation plan.  
12 This includes major overhaul of rehabilitation of  
13 major facilities at our wastewater treatment plant.

14 Similar to the water plant we want to  
15 increase our planned maintenance so we have targets  
16 related to planned maintenance activities at our  
17 wastewater treatment plant. And also to continue as  
18 a part of that process of cleaning our wastewater we  
19 want to turn those biosolids into composting and be  
20 able to sell that composting to vendors throughout  
21 Albuquerque and throughout the State.

22 In the customer service goal we have several  
23 metrics related to our call center operations. We  
24 started this several years ago and so we have several  
25 targets in order to continue customer satisfaction

1     when our customers contact the Water Authority. We  
2     have a lot of aging meters and we want to update that  
3     through our automated meter infrastructure program,  
4     replacing these old meters with smart meters to help  
5     continue improving our revenue and support our  
6     conservation efforts.

7             We will continue with our customer  
8     conversation meetings. This is where have meetings  
9     with our customers four times a year talking about  
10    important issues facing the Utility. We do this  
11    through focus group meetings, round table discussions  
12    and they are interactive engaging activities with our  
13    customers.

14            In the business planning and management goal  
15    we have a target of spending \$55 million for water  
16    and wastewater rehabilitation and replacement. We  
17    also want to continue our work on the next phase of  
18    construction for the Los Padillas Water Project.  
19    Protecting our assets from cyber attacks through the  
20    -- using guideline standards and best practices from  
21    the National Cyber Security Framework. Later this  
22    year we will be conducting our biannual rate study.  
23    We will be involving the Technical Customer Advisory  
24    Committee in this rate evaluation and you can expect  
25    some recommendations from the committee in the spring

1 of 2019.

2 We completed a major upgrade to our Maximo  
3 system. This is our comprehensive asset management  
4 system, or computer management and maintenance  
5 system. This is used to make better decisions about  
6 our assets in terms of full life cycle -- I'm sorry,  
7 life cycle costing and we use this -- we will  
8 continue to do some updates to the system in the next  
9 fiscal year looking at fleet management and condition  
10 monitoring, as well with life cycle accounting.

11 And lastly, with the water lapse  
12 certification we're preparing for that audit from the  
13 State, as well as accreditation assessment as well.

14 And in the last goal of organization  
15 development we want to continue our work with our  
16 knowledge management strategy. We have many  
17 employees who are leaving the organization and we  
18 want to make sure that we transfer their knowledge,  
19 their experience to the employees who are succeeding  
20 them over time.

21 Something that's very popular with our  
22 employees is the wellness program. We have several  
23 challenges that we have set up with our employees.  
24 What this wellness program also looks at, focusing on  
25 nutrition, physical activity, weight loss, disease

1 and injury prevention as well.

2 And lastly, this year we started a new  
3 program, employee connections, where we have focus  
4 group meetings with our employees discussing  
5 important issues, challenges facing our utility and  
6 we identify many of these areas through our employee  
7 surveys and we will continue to identify these issues  
8 through the survey. But from the outcome from these  
9 meetings we're going to be implementing --  
10 reintegrating of these changes through our training  
11 program.

12 Overall, these are the goals and objectives  
13 for fiscal year '19. Many of these objectives are  
14 very technical in nature, but they're used to improve  
15 our efficiency, effectiveness and operations and  
16 service delivery and are a big component of our  
17 continued performance improvement program.

18 If you have any questions I'd be happy to  
19 answer them.

20 CHAIRWOMAN JONES: Thank, Mr. Roth. And  
21 again, this is a first reading of introduction, but  
22 if we have any questions, Mr. Roth is available.

23 Yes, Ms. Nair.

24 MS. NAIR: Thank you, Madam Chair. Just a  
25 quick question with regard to public input into the

1 goals and objectives. Could that sort of  
2 conversation happen at the customer conversations  
3 that the Water Utility holds regularly?

4 MR. ROTH: Thank you, Madam Chair and Member  
5 Nair. Yes, those customer conversations look at  
6 different issues and challenges the Utility is  
7 facing. They are very related to the goals and  
8 objectives. Therefore, our customers weigh in on  
9 really the goals and objectives on an annual basis  
10 four times a year.

11 CHAIRWOMAN JONES: Anymore questions? Thank  
12 you, Mr. Roth. Moving right along to the consent  
13 agenda. I would make a motion to approve the consent  
14 agenda.

15 COUNCILOR PENA: Second.

16 CHAIRWOMAN JONES: There's a motion and a  
17 second. All those in favor say yes.

18 MEMBERS: Yes.

19 CHAIRWOMAN JONES: Motion carries. We have  
20 a few approval items this evening. The first one is  
21 O-18-1, amending the Water Waste Ordinance.

22 Mr. Bustos.

23 MS. YUHAS: Madam Chair, Members of the  
24 Board. Since we made a presentation on this last  
25 time, if it's pleasing to you, we'll just stand for

1 questions on this.

2 CHAIRWOMAN JONES: Thank you. Are there any  
3 questions?

4 COMMISSIONER HART STEBBINS: I move  
5 approval.

6 CHAIRWOMAN JONES: There's a motion and a  
7 second for approval. All those in favor say yes.

8 MEMBERS: Yes.

9 CHAIRWOMAN JONES: Motion carries. Thank  
10 you. Very well done.

11 MR. BUSTOS: Thank you very much.

12 CHAIRWOMAN JONES: Second was Item B,  
13 O-18-2, authorizing the execution and delivery of a  
14 loan and subsidy agreement by and between the  
15 Albuquerque Bernalillo County Water Utility Authority  
16 and the New Mexico Finance for the advanced metering  
17 infrastructure. Does anyone have any questions? In  
18 that case I would move approval.

19 COMMISSIONER HART STEBBINS: Second.

20 CHAIRWOMAN JONES: There's a motion and a  
21 second. All those in favor say yes.

22 MEMBERS: Yes.

23 CHAIRWOMAN JONES: Motion carries. Item C  
24 is R-18-7, confirming approval of the execution and  
25 delivery of a loan and subsidy agreement by and

1 between the Albuquerque Bernalillo County Water  
2 Utility Authority and the New Mexico Finance  
3 Authority. Move approval.

4 COMMISSIONER HART STEBBINS: Second.

5 CHAIRWOMAN JONES: Any questions? All those  
6 in favor say yes.

7 MEMBERS: Yes.

8 CHAIRWOMAN JONES: Motion carries. And Item  
9 D is R-18-8, approving the update to the Water  
10 Conservation Plan. I move approval. Are there any  
11 questions?

12 COMMISSIONER HART STEBBINS: Second.

13 CHAIRWOMAN JONES: There's a motion and a  
14 second. All those in favor say yes.

15 MEMBERS: Yes.

16 CHAIRWOMAN JONES: Motion carries. Last  
17 item on the agenda is R-18-9, authorizing amendment  
18 to 2007 agreement with Western Albuquerque Land  
19 Holdings for the Antelope site. Move approval. Are  
20 there any questions? Ms. Nair.

21 MS. NAIR: Madam Chair, I just have a  
22 question to clarify the audience's question earlier,  
23 the language about being subject to current utility  
24 expansion and water charges on page 1, section 2,  
25 line 25. Does that mean that we're locking in the



1 water charges at this moment or that that will be the  
2 sort of then current charges?

3 EXECUTIVE DIRECTOR SANCHEZ: Madam Chair,  
4 Member Nair, that's correct. It would be the then  
5 water supply charge, or UVCs at that time. I think  
6 that language is intended to capture future changes  
7 to those charges.

8 CHAIRWOMAN JONES: Thank you. Anymore  
9 questions? There's been a motion and a second for  
10 R-18-9. All those in favor say yes.

11 MEMBERS: Yes.

12 CHAIRWOMAN JONES: Motion carries. With  
13 that, thank you all for being here this evening and  
14 the meeting is adjourned.

15 (Meeting adjourned at 7:04 p.m.)

16

17

18

19

20

21

22

23

24

25

1 REPORTER'S CERTIFICATE

2 I, Kim Kay Shollenbarger, New Mexico Certified  
3 Court Reporter, No. 236, do hereby certify that I  
4 reported the foregoing proceedings in stenographic  
5 shorthand and that the foregoing pages are a true and  
6 correct transcript of those proceedings taken to the  
7 best of my ability.

8 I FURTHER CERTIFY that I am neither employed by  
9 nor related to any of the parties or attorneys in  
10 this matter and that I have no interest in the final  
11 disposition of this matter.

12

13

14

15

16

17

18

19

20

21

22

23

24 Kim Kay Shollenbarger  
CCR No. 236, RPR  
25 License Expires 12-31-2018