

ALBUQUERQUE BERNALILLO COUNTY
WATER UTILITY AUTHORITY MEETING
Wednesday, September 25, 2019, 5:07 p.m.

VINCENT E. GRIEGO CHAMBERS
ALBUQUERQUE-BERNALILLO COUNTY GOVERNMENT CENTER
ALBUQUERQUE, NEW MEXICO 87102

A P P E A R A N C E S

COMMISSIONER DEBBIE O'MALLEY, Chair
COUNCILOR KLARISSA J. PENA, Vice Chair (excused)
COMMISSIONER MAGGIE HART STEBBINS, Member
COUNCILOR TRUDY E. JONES, Member (excused)
COMMISSIONER STEVEN MICHAEL QUEZADA, Member
COUNCILOR KEN SANCHEZ, Member
MAYOR TIMOTHY M. KELLER, Member (excused)
TRUSTEE PABLO RAEL, Member
SARITA NAIR, (alternate)

BEFORE: KIM KAY SHOLLENBARGER, RPR, CCR #236
Paul Baca Professional Court Reporters
500 4th Street, Northwest, Suite 105
Albuquerque, New Mexico 87102

1 CHAIR O'MALLEY: Good evening, everyone.
2 Welcome. I call the meeting of the Water Utility
3 Authority for September 25th, 2019 to order. Vice
4 President Pena and Member Jones are excused and all
5 the other members are present.

6 We're going to begin with a moment of
7 silence and the Pledge of Allegiance led by Councilor
8 Ken Sanchez.

9 (Invocation/Pledge of Allegiance)

10 CHAIR O'MALLEY: Thank you, Councilor
11 Sanchez.

12 Go next to Item 3, which is the Approval of Minutes.
13 I move to approve the August 21st, 2019 minutes.

14 COUNCILOR SANCHEZ: Second.

15 CHAIR O'MALLEY: There's a motion and a
16 second. All those in favor say aye.

17 MEMBERS: Aye.

18 CHAIR O'MALLEY: All those opposed say no.
19 The motion carries. There are no Proclamations or
20 Awards. That takes us next to Public Comment.
21 Ms. Carreon, how many folks do we have signed up to
22 speak?

23 MS. CARREON: We have two speakers.

24 CHAIR O'MALLEY: So each speaker will have
25 three minutes to speak with a warning bell at

1 two-and-a-half minutes. So if you would please call
2 the first speaker.

3 MS. CARREON: Geraldine Amato followed by
4 Elaine Hebard.

5 CHAIR O'MALLEY: Welcome. Good evening.

6 MS. AMATO: Good evening. I wish to share
7 with you what I have learned long after I've been out
8 of school. Despite our worship of the federal flag
9 here at these meetings, the republic does not exist.
10 I have learned that the republic existed only in its
11 incubation stage for three years, and then the
12 Federal Constitution was passed, over the protest of
13 such people as Patrick Henry, Richard Henry Lee and
14 some of the original declarers of independence from
15 the tyranny of Great Britain. We are not taught this
16 in school. We're under a private commercial
17 jurisdiction today, much like what the original 13
18 colonies were under at the time of the frustration of
19 the English Americans established here to run the
20 colonies, the business establish of the British king.
21 So today the municipal corporations and all these
22 incorporated bodies are actually agents of the
23 corporate state. If you look at the agenda, most of
24 it is contract legal enactments. Contract law they
25 call it. It's not really law of the republic. It

1 has to do with the private commercial jurisdiction,
2 they call it the U.S, the Federal Uniform Commercial
3 Code, upon which state statutes are formed. We don't
4 study this anywhere in the public schools. Not even
5 in so-called law school. I read for a blind law
6 student in the 1980s, they did not even read the
7 Federal Constitution. They read what they call case
8 law, which are the decrees of the aristocrats on the
9 higher courts, the higher federal courts, because the
10 British bench and bar was established here by the
11 first Federal Congress. Recently I heard on
12 so-called public radio, KUNM, where an author was
13 discussing the fact that when the Constitutional
14 convention was called, before all this electronic
15 transition of information and communication was
16 established, they did it surreptitiously. They did
17 not want to alarm too many of the Americans under the
18 jurisdiction of the Articles of the Confederation
19 that Constitutional conventions were being called.
20 But Patrick Henry's speeches, he was an orator, not a
21 writer, are still recorded in the Congressional
22 record. His speeches before the Virginia
23 Constitutional Convention in Virginia, they are
24 prophetic. There's two speeches from June of 1787.
25 If you read those you will comprehend better where we

1 are today than what you're learning today at the
2 university level, the college level, and the public
3 school network. Our educational system is controlled
4 not by the good people of this nation, but by the
5 establishment overlords who work with the
6 international financiers and our monetary system and
7 all our resources, including our resources, are
8 commercialized. They're not under the control of the
9 good people. The control of those who are watching
10 their bottom line and they destroy everything they
11 touch. They're about aggrandizing power and wealth
12 this side of heaven and they don't give a damn what
13 happens on the other side, at least they're not
14 thinking about it. We need to think about it and we
15 need to do something about it.

16 CHAIR O'MALLEY: Thank you.

17 MS. AMATO: So I pray that enough people
18 will understand that we're getting to a serious
19 situation in this nation.

20 CHAIR O'MALLEY: Thank you.

21 MS. AMATO: Any questions?

22 MS. CARREON: Elaine Hebard is our last
23 speaker.

24 CHAIR O'MALLEY: Welcome.

25 MS. HEBARD: Thanks. My name is Elaine

1 Hebard. I'd like to make two points and two
2 recommendations in my three minutes, clearly I will
3 have left out a bunch of details. Agenda item 7A,
4 Amending the CIP Funds underscores the idea of why an
5 inspector general could be useful. As the cover memo
6 says, the FY20 capital program appropriates about
7 \$88.3 million -- 68.3. It further says that the FY19
8 carryover amounts to 53 -- 55.3, almost \$13 million
9 less. So that doesn't sound like just a little
10 adjustment to me. So I looked at the breakdown of
11 the
12 unobligated funds in the miscellaneous adjustments
13 and
14 found a couple of interesting things. One, under
15 Special Projects, the category of miscellaneous grew
16 from 2.7 million to 21.1 million. Not really a small
17 adjustment. That's about a third of the new
18 increase. So I guess the administration building is
19 costing more than it had been anticipated, but
20 there's never been a presentation on that. And
21 another jump was for Water 2120 projects, which went
22 from 300,000 to 2.5 million. And so, it would be
23 nice to know which projects were being funded for
24 that kind of money. My recommendation to this Board,
25 that you need assistance in wading through the

1 various things that you're presented. The City
2 Council has its own services that review things, and
3 when the Water Utility was under the City Council,
4 Council actually looked at all of those numbers. My
5 other comment is about the Water Report and the
6 Compliance Report. And very quickly, again, you get
7 the news that we're using less water, great, but it
8 doesn't break down between the surface water and
9 groundwater. And that's important because in the
10 second presentation that I mentioned, the compliance,
11 if you look at slide 13, it talks about the water
12 levels being above that 50-foot below predevelopment
13 level from 2020 to 2060. That's not going to be
14 possible unless much more pumping is reduced so that
15 you don't have the ongoing depletions, and yet you
16 can reuse your water. So my suggestion there is to
17 create a goal for resiliency and include in that the
18 category of groundwater pumping and recycling so you
19 set metrics so that you can attain those. Much like
20 the Conservation Plan. Thank you.

21 CHAIR O'MALLEY: Thank you. That ends
22 Public Comment. Item 6, Announcements and
23 Communications. The next scheduled meeting of this
24 Board is October 23rd, 5:00 p.m. in these chambers.
25 Go next to Item 7, this is the First Reading

1 of Introduction of Legislation, 7A. This is R-19-23,
2 Amending Funds for the Capital Implementation Program
3 of the Albuquerque Bernalillo County Water Utility
4 Authority for the Fiscal Year 2020. Mr. Allred.

5 MR. ALLRED: Madam Chair, Members of the
6 Board, this is just a Resolution to move unobligated
7 appropriations that we have not spent the money on
8 that has been approved by this Board prior to 2020,
9 to move those to fiscal year 2020 so we can spend
10 those that is required for the Department of Finance
11 Administrative Services from the State of New Mexico.
12 What we'll probably do in the future is write
13 administrative instruction saying that every year
14 we'll move those unobligated appropriations forward
15 to the next fiscal year and then share that with the
16 Department of Finance Administrative Services. But
17 for this year we need to do a Resolution to do that,
18 and this is the Resolution to carry out that very
19 task. And I stand for any questions.

20 CHAIR O'MALLEY: Are there any questions of
21 Mr. Allred. This is the First Reading, so we won't
22 be acting on it. Thank you.

23 Go next to the Consent Agenda. There's
24 several items on the Consent Agenda. Does anybody
25 have questions, or just move approval.

1 COUNCILOR SANCHEZ: Move approval of the
2 Consent Agenda.

3 COMMISSIONER QUEZADA: Second.

4 CHAIR O'MALLEY: There's a motion and a
5 second to approve the Consent Agenda. All those in
6 favor say aye.

7 MEMBERS: Aye.

8 CHAIR O'MALLEY: All those opposed say no.
9 The motion carries. Go next to Item 9, which is
10 Approvals. 9A, R-19-19, which is Authorizing
11 Agreement with this Authority and the Pueblo Los
12 Cerros Homeowners Association to Allow a Private
13 Sanitary Sewer Service Connection. Kris Cadena.

14 MR. CADENA: Hello, Madam Chair, Members of
15 the Board. This is a Development Agreement for an
16 existing
17 hundred unit condominium complex located in the
18 Village of Corrales. Currently they're getting water
19 via an onsite
20 private well and sanitary sewer service via an onsite
21 private wastewater treatment plant. They're coming
22 to the Water Authority to get sewer service because
23 that wastewater treatment plant is deteriorating and
24 the New Mexico Environment Department isn't willing
25 to renew their permit. So Pueblo Los Cerros is only

1 seeking sewer service and they're going to get sewer
2 service with the proposed private sewer force main
3 that would go through a couple of roadways within the
4 City of Albuquerque. The entire line would be solely
5 owned and maintained by Pueblo Los Cerros and they
6 would be required to pay the utility expansion
7 charges for the sewer.

8 CHAIR O'MALLEY: The utility expansion
9 charges as well as the infrastructure?

10 MR. CADENA: Correct, yes. It will all be
11 developer funded.

12 CHAIR O'MALLEY: Any questions about this
13 item?

14 COUNCILOR SANCHEZ: Move approval.

15 CHAIR O'MALLEY: There's a motion and a
16 second to approve 9A. All those in favor say aye.

17 MEMBERS: Aye.

18 CHAIR O'MALLEY: All those opposed say no.
19 The motion carries. Takes us next to 9B, R-19-20,
20 Authorizing this Utility to Submit an Application for
21 Funding to the Water Trust Board for Advanced Meter
22 Infrastructure Project, Phase 5. Ms. Anderson.

23 MS. ANDERSON: Yes, Madam Chair, Members of
24 the Board. This is requesting authorization to
25 submit an application for Water Trust Board funding

1 for continuation of Phase 5 of the Advanced Meter
2 Infrastructure Project.

3 CHAIR O'MALLEY: It requires our approval --

4 MS. ANDERSON: Yes.

5 CHAIR O'MALLEY: -- for a request for that.

6 I move approval of 9B.

7 COUNCILOR SANCHEZ: Second.

8 COMMISSIONER HART STEBBINS: Second.

9 CHAIR O'MALLEY: There's a motion and a
10 second for approval of 9B. All those in favor say
11 aye.

12 MEMBERS: Aye.

13 CHAIR O'MALLEY: All opposed say no. The
14 motion carries. Takes us to 9C, Authorizing this
15 Authority to Submit an Application for Funding to the
16 Bureau of Reclamation for WaterSMART Grant.
17 Katherine Yuhas. This is for aquifer storage and
18 recovery projects. Ms. Yuhas.

19 MS. YUHAS: Thank you, Madam Chair. Tonight
20 I am requesting your approval to apply for a
21 WaterSMART Grant to the Bureau of Reclamation. This
22 grant would have a maximum award of \$750,000 and the
23 match is 50 percent. So the maximum that we would be
24 obligated to fund would be \$750,000 from the Capital
25 Improvement Fund for Water 2120.

1 CHAIR O'MALLEY: We do have an aquifer
2 storage and recovery project now, so what is this for
3 exactly?

4 MS. YUHAS: Madam Chair, this is actually a
5 new type of project that we're looking at, which
6 would be small infiltration ponds. And we're looking
7 at developing a series of projects with these
8 infiltration ponds that we could actually put in
9 neighborhoods as sort of a neighborhood enhancement.
10 They'd actually be like a little park, at least
11 that's our vision of them. They'd have plantings.
12 We'd put a walking path around them so they'd be an
13 education opportunity as well as infiltrating water
14 into the aquifer. So it's kind of a giving back and
15 also infiltration project.

16 CHAIR O'MALLEY: So these are like little
17 reservoirs or -- no, I know they wouldn't be, because
18 they wouldn't be -- drainage ponds, it kind of sounds
19 like they are a little bit.

20 MS. YUHAS: The idea of a pond is the right
21 picture. The water would move underground very
22 quickly, so they wouldn't actually hold water for a
23 very long time. But it would be a wet area where we
24 could put a lot of very interesting plantings around.
25 We're hoping to put one near a school so that perhaps

1 some of the students from the school could get
2 involved in monitoring what's going on, use it for
3 science education. We're really trying to build a
4 partnership around these projects.

5 CHAIR O'MALLEY: Like maybe little wetlands
6 or something.

7 MS. YUHAS: Exactly, that's the right
8 picture, a wetland.

9 CHAIR O'MALLEY: I move approval of 9C.

10 COMMISSIONER QUEZADA: Second.

11 CHAIR O'MALLEY: There's a motion and a
12 second to approve 9C. All those in favor say aye.

13 MEMBERS: Aye.

14 CHAIR O'MALLEY: Aye. All opposed say no.
15 The motion carries. Takes us next to 9D. This is
16 Amending Water service Policies for the South Valley
17 Drinking Water Project.

18 MS. ANDERSON: Madam Chair, Members of the
19 Board, this is a request to amend the boundary of the
20 South Valley Drinking Water Project. It just changed
21 slightly between design and then what was completed
22 in the final design. So we just have to amend that
23 boundary.

24 CHAIR O'MALLEY: Are there any questions
25 about this item?

1 COMMISSIONER QUEZADA: Move for approval.

2 COUNCILOR SANCHEZ: Second.

3 CHAIR O'MALLEY: There's a motion and a
4 second to approve 9D. All those in favor say aye.

5 MEMBERS: Aye.

6 CHAIR O'MALLEY: All opposed say no. The
7 motion carries. We go next to Other Business.

8 Mr. Stomp, this is OB-19-60, Water Resources and
9 Regulatory Compliance Update.

10 MR. STOMP: Good evening, Madam Chair,
11 Members of the Board. Pleased to talk a little bit
12 about Water Resources and Regulatory Compliance
13 Update. My goal tonight is to really talk about four
14 things. You've heard about this concept of the law
15 of the river, there's an overlay of federal and state
16 regulations that kind of govern the operations for
17 the Water Authority in terms of our permitting, and
18 I'm going to talk a little bit about that, a little
19 bit about how that affects our Drinking Water Project
20 Permit.

21 We're going to talk a little bit about the
22 hundred year plan and then how the Safe Drinking
23 Water Act and the Clean Water Act are kind of
24 combining now, where we have separate federal laws,
25 but there's an intersection between the two that's

1 happening and it's kind of blurring the lines between
2 the two.

3 Start off with a little cartoon here showing
4 a couple of guys fighting. This is kind of the way
5 the water business is, as you guys know, sometimes
6 you're the guy with the shovel, right, and sometimes
7 you're the guy blocking it, but that's kind of the
8 way it is in New Mexico, we're always fighting to
9 protect our water from Texas and others trying to
10 take our water.

11 So the law of the river starts with the Rio
12 Grande Compact. So the native waters that originate
13 in Colorado flow through Colorado, Texas, and New
14 Mexico and also into Mexico, is a compact called the
15 Rio Grande Compact, which is really more of a
16 contract between the states. It's ratified by
17 Congress and we are allocated a portion of the river
18 and that allocation was based on agriculture and
19 irrigation uses back in the 1880s.

20 So they divided up the flows of the river,
21 Colorado gets the majority of the flows, we get a
22 small piece, and then Texas gets the rest. What we
23 owe to Texas is gauged by the Otowi gauge, which is
24 the bridge that crosses Espanola. If you know where
25 you're at in Espanola, that crosses the Rio Grande

1 there, there is a gauge there and the amount of water
2 that flows pass that gauge, a portion of it we get to
3 keep and a portion of it we deliver to Texas.

4 There's a whole lot of other rules that go
5 along with this, including how much we have in
6 storage and how much we're allowed to store. But
7 this really sets the framework for what the Middle
8 Rio Grande gets in terms of the amount of native
9 water that flows into the stream system.

10 We also have the underground aquifer. As
11 you know, we've been pumping from the aquifer and
12 we've begun to reduce our pumping and now the aquifer
13 is rising. The State Engineer in 1956 developed
14 administrative guidelines for how that use of that
15 groundwater was going to be made, and he was
16 concerned about future obligations under the Rio
17 Grande Compact, so he declared the Basin and said
18 that anybody that pumps water from the aquifer now
19 has to pay the river back, because the river and the
20 aquifer are directly connected, and so the river
21 leaks when the aquifer goes down and you have to pay
22 that back. And so there's water rights
23 administration that go along with that. Again, this
24 is State administration.

25 Then we have our San Juan Chama water, this

1 is
2 Colorado river water. New Mexico get 11.25 percent
3 of the Upper Colorado River Basin, which was a
4 compact that was signed between the Upper Basin
5 states in 1948. We get about 650,000 acre feet of
6 water a year for New Mexico. The San Juan Project
7 imports about a hundred acre feet of that, of which
8 we get about 48,200 acre feet. Now, this is Colorado
9 River water, so it's not governed by the Rio Grande
10 Compact. It's imported water and we're allowed to
11 fully consume that water, meaning that whatever drops
12 come in, we can fully use every single drop. So if
13 we have some that comes out of our wastewater plant
14 and it's not fully used, we still have a right to use
15 that. And that really is a lot of our -- part of our
16 hundred year water plan effort, is to use the
17 existing supplies we have.

18 This is a picture of the Drinking Water
19 Project, it's black, though, so I apologize for that.
20 The Drinking Water Project is governed by regulations
21 that the State Engineer set on us and it's flow
22 based. So we have flow based regulations and the
23 flow that flows at Central Avenue. So when you drive
24 over Central Avenue there is also a gauge there, and
25 the amount of water that we're allowed to divert is

1 based on that flow that passes by Central Avenue. So
2 we are governed by the flows that are in the river in
3 terms of our ability to divert our San Juan Chama
4 water under the Drinking Water Project.

5 This is a picture of our diversion facility,
6 if you have not been there, and also our return flows
7 at the Rio Bravo -- at the Southside Reclamation
8 Plant that you can see in the upper left-hand portion
9 of it. You've got the diversion facility, you got
10 the fish screens, fish bypass structures. So we
11 built the facility to protect the Endangered Silvery
12 Minnow. There are critical habitats for a multitude
13 of endangered species, that also was an overlay of
14 the federal law which we have to operate under in the
15 Middle Rio Grande.

16 So we have the compacts, we have the state
17 administration of groundwater, we have the Endangered
18 Species Act, all of those form a relationship with
19 what we're able to do or what we're not able to do in
20 the river. With respect to our return flows, that's
21 part of that declaration. We pump the aquifer, we
22 return part of that back to the river. If you've
23 never been to our outfall, you should go. There's a
24 distinct difference between the water that comes out
25 of our plant and the water that's in the river. Our

1 water is cleaning up the river. You can see the
2 bottom of the channel. You can see the fish, it's
3 beautiful. We have very clean effluent going out of
4 our plant. There was a point in time when the Fish
5 and Wildlife Service believed very strongly that our
6 wastewater plant was one of the reasons why the
7 Silvery Minnow was not thriving. So they did a
8 series of studies where they took samples of our
9 effluent and they took samples of the river and they
10 compared how the fish lived, reproduced and how long
11 they lived and survived and they lived better in a
12 hundred percent effluent than it does in a hundred
13 percent river. So the fish like our effluent better
14 than they like the river. They live longer. They
15 reproduce better. And they survive a much longer
16 time frame.

17 CHAIR O'MALLEY: Mr. Stomp, just wanted to
18 interrupt you for a moment. You said that when you
19 pump -- the requirement is that when you pump from
20 the aquifer you have to return to the river. Is that
21 just for utilities? Because not everybody does that.

22 MR. STOMP: Madam Chair, when he declared
23 the basin in 1956 there was a number of people that
24 were already pumping. Those were grandfathered in,
25 so to speak, so any new pumping beyond that. So it

1 could be an agriculture. It could be a municipal
2 use. Although, most of it is municipal uses, so you
3 have that obligation to return the flow back to the
4 river. Now, a lot of agricultural uses, they do what
5 they call supplemental wells, so they have a right to
6 native water that's diverted from the river. They
7 can pump that same amount of groundwater in terms of
8 the depletion that's equivalent to the water rights
9 that they own, that supplemental well. They don't
10 have to pay back the river for that. But most of it
11 is municipalities. Us, Rio Rancho, Bernalillo, the
12 small community south of us, they have that
13 obligation.

14 CHAIR O'MALLEY: When you say, "an
15 obligation," that's something that's regulated? It's
16 required? It's --

17 MR. STOMP: Yes, ma'am. I'm sorry, Madam
18 Chair, Members of the Board, every single month we
19 turn in our State Engineer's permit. We give them
20 the exact amount of water that we pump from every
21 single well. We give them the exact meter flow that
22 we return at the wastewater plant. We also tell them
23 exactly how much we divert at the river diversion,
24 which is actually online if you ever want to see
25 that. 24 hours a day you can see how much we're

1 diverting at the river and you can see how much we're
2 returning. So we give a report to the State Engineer
3 and then every single year he takes that data, he
4 loads that into this three dimensional groundwater
5 flow model, because every well has its own impact on
6 the river, and then he calculates how much we have to
7 return. And if we have not returned back that much,
8 we have to supplement that return. Normally we
9 return more than we owe.

10 CHAIR O'MALLEY: What about the requirements
11 in terms of quality for return, returning to the
12 river, are those requirements as well?

13 MR. STOMP: Madam Chair, Members of the
14 Board, there's no water requirements from the State
15 Engineer in terms of the quality, but EPA does have
16 water quality requirements for us under the Clean
17 Water Act. So we have a NPDES permit, National
18 Pollution Discharge Elimination System permit from
19 the EPA. They have specific guidelines what water
20 quality we're supposed to use, and that is part of
21 the discussion we're going to have tonight.

22 CHAIR O'MALLEY: Thank you.

23 TRUSTEE RAEL: Madam Chair.

24 CHAIR O'MALLEY: Yes, Mr. Rael.

25 TRUSTEE RAEL: Question. Do you get audited

1 by the State Engineer on whatever you send to them?
2 How do they keep up with what -- I guess I'm asking,
3 do they believe what you say or do they actually
4 audit you to find out what you're doing is correct?

5 MR. STOMP: Madam Chair and Trustee Rael,
6 well, they never believe anything we say. Everybody
7 has their eye on us. We're the most heavily
8 regulated entity in the Middle Valley. They
9 regularly come and inspect our meters. They will
10 make us calibrate our meters. We
11 turn in a calibration report on our meters every
12 single year. They'll come and read that meters.
13 They'll compare those meter readings to what we
14 submitted to them in the reports. So they're
15 constantly checking on us, believe me. The
16 requirements that we have for 15 minute data to be
17 posted online are the State Engineer's requirements.
18 But, yeah, they don't -- I mean, they trust us,
19 obviously, but they actually verify quite a bit. A
20 lot more than most people do.

21 TRUSTEE Rael: Trust and verify.

22 MR. STOMP: Correct.

23 TRUSTEE Rael: Thank you. Thank you, Madam
24 Chair.

25 MR. STOMP: So this next picture shows that

1 kind of relationship on the river. This is the river
2 itself through Albuquerque. We have our diversion of
3 our
4 water up at Alameda. We have the Central Avenue gage
5 there in the middle of the slide and we have our
6 return flow at the bottom, so that's the Southside
7 Water Reclamation return flow. So there's 15 miles
8 of difference between where we divert the water and
9 where we return the water. And the State Engineer
10 pays attention to the gage data at Central Avenue,
11 but that gage data is also very important as it
12 relates to our NPDES permit that I talked about
13 before.

14 So this gives kind of a picture of the
15 overlay of how things can change in the river and how
16 the Water Authority's permits are affected by those
17 changes of flow.

18 Carlos Bustos, our conservation officer, is going to
19 talk a little bit about the water use this month.
20 But you can see water use continues to go down. It's
21 incredible to see the amount -- how much we've
22 changed our usage over the years. And we continue to
23 increase our surface water use and we're on average
24 between 60 and 80 percent of surface water use. So
25 you can see how we started in 2008, about 11 years

1 ago, kind of slowly implementing the system and you
2 can see how much change in the blue versus the green
3 over time. So our pumping is significantly reduced.
4 Because we reduced our pumping we have less
5 obligation on the river.

6 The aquifer continues to rise. These are
7 the latest USGS gauges. These are 2018 data. And I
8 just picked three different points, but you can see
9 that in 2008 when we started diverting river water
10 the aquifer began to rebound. It's rebounded 30, 40,
11 some places as high as 60 feet and we're going to
12 continue to see that rise when we talk about our
13 Groundwater Management Program. At some point when
14 that rise stops and it starts to come down again
15 we'll have a Groundwater Management Plan in place to
16 deal with that.

17 So just reviewing a hundred year plan. If
18 you guys remember, in 2016 we went through two years
19 of this process to evaluate how much demand we
20 thought we were going to have in the future, what our
21 supply obligations are and how much our supply could
22 be reduced from surface water reductions due to
23 climate change and we compared those and we
24 determined what the gaps were and then we came up
25 with a plan and a series of policies and projects to

1 meet our demand over the next hundred years primarily
2 using the existing supplies we have.

3 We talk about conservation going down to a
4 hundred and ten gallons per capita per day over the
5 next 20 years. I think reuse is a big part of where
6 we're headed, reusing that effluent that we talked
7 about. As we reduced our pumping we'll have more of
8 that effluent available for us to use and that's
9 going to be a big part of our future, storing that
10 water, whether it's in the aquifer or storing it in
11 above-ground storage, transitioning to use of storm
12 water, and then indirect or direct potable reuse,
13 that is our wastewater turned into a drinking water
14 source. And then you have watershed management, of
15 course, to protect our supplies upstream in the
16 watersheds.

17 So Groundwater Management Plan. As I said,
18 the groundwater is continuing to increase. The
19 aquifer is continuing to rise. That's sort of the
20 orange line that's dotted. It's going to rise and
21 it's going to get to a spot, we don't know exactly
22 what that's going to be, and then it's going to start
23 to go down. So the whole point of our Groundwater
24 Management Plan is, rather to look back to what
25 happened in the 90s when the aquifer was dropping

1 about three feet a year and there was not a lot to do
2 at that point, now it's rising and so now we know how
3 we need to deal with it. We need to reduce our
4 groundwater use over time so that we can continue to
5 manage that aquifer at that level. So we're going to
6 add projects and more reuse over a period of time to
7 reduce our use on groundwater and save that
8 groundwater for the future. So that's really the
9 point of the Groundwater Management Plan.

10 This is the intersection of the Clean Water
11 Act and the Safe Drinking Water Act. A lot of the
12 regulatory boundaries are blurring. I'll give you a
13 few examples of that. Arsenic is a perfect example.
14 In the late 1980s Congress recognized tribal entities
15 as state entities, allowed them to set their own
16 water quality standards. The Pueblo of Isleta set an
17 arsenic standard that was going to require that we
18 treat our arsenic going out of our wastewater plant.
19 We, back when we were the City, we challenged that.
20 We sued them in federal court, we lost very badly.
21 Congress made that rule and EPA was enforcing that
22 rule. So we are responsible for meeting the Pueblo
23 of Isleta water quality standards. That and
24 rulemaking changed when the drinking water standard
25 changed from 50 parts per million to 10. So once the

1 drinking water standard changed to ten, now the
2 effluent coming out of our plant is usually below
3 three micrograms per liter. So we had an
4 implementation of a Clean Water Act -- a Safe
5 Drinking Water Act rule that actually helped us on
6 the Clean Water side.

7 In terms of phosphorus, we added a
8 phosphorus plan at our Wastewater Treatment Plant.
9 Just to kind of look at what that looks like, the
10 green line shows the amount of phosphorus coming into
11 our Wastewater Plant, but we add phosphorus on the
12 surface water side for corrosion control and for our
13 PH control coming out of the water plant. And then
14 you can see the effluent is -- the amount of
15 phosphorus coming into our Wastewater Plant is the
16 green and the amount coming out is the purple.

17 Well, EPA at our last draft permit said that
18 we're going to have to start monitoring phosphorus.
19 They're worried about potential nutrient going into
20 the stream system. We already remove ammonia, now
21 they're looking at phosphorus. So we're adding
22 phosphorus into our system for corrosion control on
23 the drinking water side and here we are potentially
24 going to be affected by the Clean Water Act on the
25 wastewater side. Again, the two different federal

1 regulations are sort of coming together.

2 This is a picture of our wastewater flows, I
3 already talked about that. Over time we're going to
4 reduce our groundwater pumping, so we'll have more
5 wastewater available and that wastewater is planned
6 to be used for either direct or indirect potable
7 reuse. So that is returning a wastewater supply into
8 a drinking water supply. So that's a complete
9 transition from the Clean Water Act to the Safe
10 Drinking Water Act and that's a big part of where
11 we're headed with Water 2120.

12 New Mexico currently has no regulations
13 related to use of indirect potable reuse or direct
14 potable reuse. California and a whole bunch of other
15 states are working on implementing regulations. So
16 what is the quality of the water that's going to be
17 required? What's the treatment processes that are
18 going to have to go through? And New Mexico does not
19 have any standards. So as we move closer and closer
20 to doing that, which as we know in our plan is
21 decades away, we still are going to need to work with
22 the State of New Mexico to develop those regulations.
23 Because clearly we want the public perception, we're
24 worried about that. We have distribution issues, as
25 we blend all these various qualities of water,

1 whether surface water, groundwater, or indirect
2 potable reuse, we got to worry about chemical
3 incompatibility. And then there's a discussion about
4 national standards going on about IDPR and DPR, but
5 most people don't want that. Most people want the
6 states to keep their own regulatory bases.

7 So going back to the flow in the river.
8 This is kind of the issue that I was talking about
9 before with our Clean Water Act. EPA recently in our
10 permit looked at the flow at Central Avenue gage and
11 decided that -- they picked a 20-year period. They
12 picked a one day, critical low flow in 2013, and they
13 set our permit limits based on one arbitrary day in
14 2013. If you look back about what happened in 2013,
15 the MRGCD changed their diversion rates at Angostura,
16 which is about 15 miles north of Albuquerque. They
17 diverted a significant quantity of water, routed it
18 around Albuquerque in the drains to keep it out of
19 the river so we had less evaporation, and here we had
20 low flows in the river of which came back -- ePA came
21 back and said, "Oh, by the way, we're going to use
22 that low flow to set your standards for the future."
23 So there's an operational issue that goes with how
24 the river operates associated with our Clean Water
25 Act.

1 We clearly don't like the way that EPA did that. It
2 was very arbitrary. And so we have been in
3 discussions with them. We do not have a permit from
4 them yet, but we're waiting to see what the results
5 of our comments were. That low flow was 53cfs. So
6 if you look at the amount of low that we're going to
7 be allowed to put into the river based on a 53cfs,
8 means that our concentrations are going to go way
9 down in the future. So it is a big issue for us to
10 be looking at in terms of what can happen. But MRGCD
11 sometimes controls the river and sometimes they
12 decide on their own what they're going to do and
13 there's ramifications for us. That 53cfs would have
14 limited our ability and we would have had to shut
15 down the drinking water plant as a result of that.

16 So that was a lot of information and I did a
17 lot of talking and I'll be glad to answer any
18 questions that you have, Madam Chair and Members of
19 the Board.

20 CHAIR O'MALLEY: That was a lot of
21 information, but it was interesting. Does anyone
22 have any questions? Councilor Sanchez.

23 COUNCILOR SANCHEZ: Thank you, Madam Chair.
24 I have one question regarding the hundred year plan
25 that was implemented three years ago. I mean, now we

1 are in year three of the hundred year plan. I mean,
2 how are we forecasting and where are we at with this
3 plan? Because, I mean, that's a long-term plan. I
4 was kind of hesitant to support it when I did, but I
5 said, I think that's real visionary by the Policy
6 Board and by the staff.

7 MR. STOMP: Well, so far the implementation
8 is going well. Carlos will be up next to talk about
9 our water usage. Our goal was to reduce our use one
10 GPCD per year. We're way ahead of that. In terms of
11 our reuse, we're working on these projects to start
12 to implement reuse. Katherine was up here earlier
13 and talked about aquifer storage and recovery. So
14 all of these pieces and parts are going together.
15 The beauty of where we're at right now is, because of
16 our conservation and because of what we've done, we
17 have a long-term time frame where we're still okay.
18 So we have some time to work and implement these
19 plans, watch as things change, come back to you, see
20 if there's policy changes that we need to make. But
21 we're right on target and we're doing really, really
22 well in terms of our water use. We're doing well in
23 terms of our groundwater and surface water use. So
24 things are going well.

25 CHAIR O'MALLEY: Any other questions? Thank

1 you very much, Mr. Stomp.

2 MR. STOMP: Thank you, Madam Chair, Members.

3 CHAIR O'MALLEY: We have another
4 presentation. This is the Drought and Precipitation
5 Probability Report, and that's Carlos Bustos.
6 Mr. Bustos, are you going to tell us about all the
7 rain that we're going to get.

8 MR. BUSTOS: Good afternoon, Madam Chair and
9 Members of the Board. I'm Carlos Bustos and I manage
10 the Conservation Program. So we're not in a drought,
11 which is great. We're actually doing pretty good.
12 And customer demand is about 812 million gallons less
13 than last year by this time. So water usage, we're
14 looking at probably 4 EPCD drop this year. Our goal
15 was to keep that at 1 EPCD. Nevertheless, the
16 efforts that we're doing and how the customers are
17 responding to weather events in this particular year
18 is surprising, but also expected based on the history
19 of how customers respond to weather in Albuquerque.

20 The next three months precipitation outlook
21 is promising. September, already there's certain
22 areas that got almost close to an inch, which is
23 about the average for this time of year. The
24 precipitation is about the same compared to 2018.
25 The difference is that we got most of the

1 precipitation in 2019 during
2 the spring, and then August was pretty dry, and July
3 was semidry. So that monsoon was a little spotty in
4 Albuquerque. Nevertheless, regards to inches, it's
5 about the same. And the fall season is looking
6 pretty good. So what we're recommending is to go
7 ahead and plant a tree, use some water. The next
8 couple of months trees need watering. So take care
9 of your landscapes and make sure that you get them
10 strong as we move into the winter season.

11 CHAIR O'MALLEY: Mr. Bustos, are we still
12 expecting -- well, I think I heard this, that the
13 monsoons were basically coming, but they're late. Is
14 that true? Because, I mean, we didn't really --

15 MR. BUSTOS: They were kind of spotty.
16 There was certainly some areas in Albuquerque that
17 experienced the monsoon normally. There was
18 certainly some areas that it was dryer than other
19 past monsoon seasons.

20 CHAIR O'MALLEY: Yeah, I could see that some
21 areas were getting a lot of water and our area
22 wasn't.

23 MR. BUSTOS: With regards to outdoor
24 landscape, the temperature has dropped almost 12
25 degrees in the last three weeks, so you probably all

1 noticed that. It's still expected that it's going to
2 be in the 80s the next month or so, but it's
3 definitely dropping. So as we get cooler nights
4 evaporation is less, so actual water usage
5 continually keeps going down.

6 CHAIR O'MALLEY: Are there any comments or
7 questions for Mr. Bustos? Thank you very much.

8 MR. BUSTOS: Thank you.

9 CHAIR O'MALLEY: So that ends our business
10 and --

11 COMMISSIONER QUEZADA: Madam Chair.

12 CHAIR O'MALLEY: Commissioner Quezada.

13 COMMISSIONER QUEZADA: Thank you, Madam
14 Chair. Before we close today, I'd like to thank Mark
15 Sanchez for lunch this afternoon. He had a really
16 great picnic with his employees right there by the
17 Water Treatment Plant. I just wanted to shout out to
18 all the employees who work for the Water Utility
19 Authority. We think you're champions, we think you
20 do a great, great job and it was great to see all of
21 you at a picnic from the guys who dig the tunnels and
22 dig the ditches and lay the pipe, to the people who
23 monitor the water and make sure that everything is
24 within the standards, they were all there. It was
25 just great to see all those people. They work very

1 efficiently. We didn't do a lot of awards today like
2 we normally do, so I just wanted to make sure that we
3 did a good shout out and thank Mark Sanchez for a
4 really, really great job at the Water Authority.
5 Because you have some really happy employees that
6 like to work for you, and that's rare, to be honest
7 with you. So congratulations and thanks again.

8 CHAIR O'MALLEY: Yes, I have to add my
9 thanks too. It was a really nice day. Really
10 enjoyed it out there. Good food, good company. I
11 want to add my thanks too to all the employees as
12 well. And I know that, Councilor Sanchez, you were
13 there for a little while.

14 COUNCILOR SANCHEZ: I was also there, and
15 the employees seemed very happy. It was great to see
16 the chemists, the engineers, the blue-collar workers
17 all working in collaboration just being there at an
18 event to celebrate the work that you guys do each and
19 every day for the citizens of Albuquerque. Thank
20 you.

21 CHAIR O'MALLEY: Good evening, everyone.
22 Thank you. This meeting is adjourned.

23 (Meeting adjourned at 5:47 p.m.)

24

25

REPORTER'S CERTIFICATE

I, Kim Kay Shollenbarger, New Mexico Certified Court Reporter, No. 236, do hereby certify that I reported the foregoing proceedings in stenographic shorthand and that the foregoing pages are a true and correct transcript of those proceedings taken to the best of my ability.

I FURTHER CERTIFY that I am neither employed by nor related to any of the parties or attorneys in this matter and that I have no interest in the final disposition of this matter.

Kim Kay Shollenbarger
CCR No. 236, RPR
License Expires 12-31-2019